

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MACKENZIE VALLEY ENVIRONMENTAL
IMPACT AND REVIEW BOARD

TECHNICAL SESSION FOR
PRAIRIE CREEK MINE

Mackenzie Valley Review Board Staff:

Facilitator	Chuck Hubert
MVEIRB Staff	Nicole Spencer

HELD AT:

Dettah, NT
October 8th, 2010
Day 3 of 3

1	APPEARANCES		
2	Alan Taylor)	For Canadian Zinc
3	Chris Reeves (np))	Corporation
4	Joseph Lanzon (np))	
5	Wilbert Antoine (np))	
6	Doug Pelly)	
7	Steve Moore)	
8	Chris Schmidt)	
9	David Harpley)	
10	Byard MacLean)	
11	Christoph Wels)	Consultant
12	Shannon Shaw)	Consultant
13	David Caughill (via phone))	Consultant
14	Graham Clinton)	Consultant
15			
16	Paul Green)	INAC
17	Krystal Thompson (np))	
18	Darha Phillpot (np))	
19	Lorraine Seale (np))	
20	Nathen Richea)	
21	Darnell McCurdy (np))	
22	Rochelle Drumm)	Consultant
23	Karin Taylor (np))	Counsel
24			
25			

1	APPEARANCES (Cont'd)		
2	Wendy Botkin) Parks Canada
3	Mike Suitor)
4	Jamie VanGulck) Consultant
5			
6	Sarah Olivier) Department of
7	Lorraine Sawdon) Fisheries and
8) Oceans
9			
10	Sharon Smith	(via phone)) GNWT Department of
11	Fons Schellekens) Environment and
12	Amy Jenkins	(np)) Natural Resources
13	Jessica Budgell)
14	Erika Nyyssonen	(np))
15	Aileen Stevens)
16	Gavin Moore	(np))
17	Kris Johnson)
18	David Arbeau	(np))
19	Michael Mageern	(np))
20	Charlotte Schalkwyk	(np))
21	Kristin Prendergast	(np))
22	Jim Lee	(np))
23	Kristie Tarr	(via phone))
24			
25			

1	APPEARANCES (Cont'd)		
2	Jane Fitzgerald)	Environment Canada
3	Devin Penny)	
4	Anne Wilson (via phone))	
5	James Hodson (via phone))	
6	David Tilden (np))	
7	Eric Allan (via phone))	Environment Canada
8	Glen Groskoph (via phone))	
9			
10	Peter Redvers)	Naha Dehe Dene Band
11	Shauna Morgan)	
12			
13	Caroline Lafontaine)	Public
14			
15	Kate Witherly (np))	CanNor/NPMO
16	Manik Duggan (np))	
17	Matthew Spence (np))	
18			
19	Chris Aguirre (via phone))	Transport Canada
20	Doug Soloway (via phone))	
21			
22	Murray Cutten (np))	MACA GNWT
23			
24	Chief Fred Tesou (np))	Nahanni Butte NT
25	Jim Betsaka (np))	

1	APPEARANCES (Cont'd)	
2	Joe Acorn) Dehcho First Nations
3	Jonas Antoine)
4		
5	Glen Sorensen) GNWT, MOG
6		
7	Ramli Halim) Hatch Ltd.
8		
9	David Caughill (via phone)) Golder Associates
10	Chris Madland (via phone))
11		
12	Bill Rozeboom) Northwest Hydraulics
13		
14	Frank Palkovits) Mine Paste
15	Monique Dube (np)) Engineering
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	TABLE OF CONTENTS	
2		Page No.
3	List of Undertakings	7
4		
5	Discussion Period	11
6	re Mine Site components	
7	re Human Environment	
8	re Other issues	
9		
10	Closing Comments by Park Canada	133
11	Closing Comments by Canadian Zinc	137
12	Closing Comments by Environment Canada	139
13	Closing Comments by Naha Dehe Dene Band	140
14		
15	Reporter's Certificate	142
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1		LIST OF UNDERTAKINGS	
2	NO.	DESCRIPTION	PAGE NO.
3	25	For Canadian Zinc to provide a more	
4		complete description of the mixing	
5		analysis methods and assumptions	71
6	26	For Canadian Zinc when modelling air	
7		quality, the output only represented	
8		areas of expected exceedences of criteria	
9		and ENR would like to be able to see	
10		areas of the highest expected	
11		concentrations, not just those where	
12		there will be exceedences to assist with	
13		establishing a monitoring plan.	113
14	27	Canadian Zinc commits to implement the	
15		air monitoring system as outlined in	
16		the report	115
17	28	For Canadian Zinc to draw up the terms	
18		of reference, incorporating some of those	
19		components, as well as suggest the	
20		parties to that committee and possible	
21		involvements, and send that out for	
22		review re formulation of a technical	
23		advisory committee	124
24			
25			

1 --- Upon commencing

2

3 THE FACILITATOR: Our agenda item today
4 are components of the mine itself, as well as -- in the
5 morning, and human environments in the afternoon.

6 Just to note, people at my table here, I'm
7 -- my name being -- is Chuck Hubert with the Review
8 Board. On my left, Ramli Halim, our consultant from
9 Hatch Limited. And Nicole Spencer, a colleague, an
10 environmental assessment officer with the Review Board as
11 well.

12 With that, I'd like to begin with our
13 agenda item as is stated, and we'll start with -- just
14 one (1) logistical issue before I start. A shuttle will
15 be leaving the building at 12:00 p.m. and 3:30 p.m. I
16 understand some people may need to catch planes, so the
17 shuttle leaves here at 12:00 p.m. and 3:30. And I
18 understand Mr. Redvers would like a few opening comments.

19 MR. PETER REDVERS: Thank you. Peter
20 Redvers, Naha Dehe Dene Band. Just a -- I guess a
21 procedural and timing question, and it's a -- a bit of a
22 follow-up from yesterday, and bearing in mind that there
23 was some new information posted to the Water
24 Environmental Impact Review Board site regarding the
25 outfall and the downstream mixing, et cetera.

1 I'm just trying to get an understanding of
2 sort of the timing or next steps in relation to
3 particularly the -- the water quality issue. We're still
4 -- this summary notes that there is to be further
5 documentation or a -- a more complete letter report has
6 been referred to. There's also been a number of
7 information -- we won't call them information requests
8 because that's -- refers to a different process, but
9 there have been a number of requests for information that
10 have come out of the discussions on the first and the
11 second day relating to some of the water issue and
12 chemical composition, et cetera.

13 Once that information gets -- is -- is on
14 the table for everybody to review, then there is, in
15 essence, a -- a complete description of the project. In
16 this -- that includes this documentation, and I'm not
17 sure whether it would be dealt with in the subsequent
18 letter report. There's still a need for a -- an
19 assessment of the -- the impacts. You know, what does
20 that mean in terms of the river and aquatic life and the
21 significance of those impacts. And then, as required,
22 any finalization of mitigation measures.

23 So I guess procedurally my concern is
24 where does the Naha Dene Band fit into this in the sense
25 of what's next. Where would be an opportunity, once this

1 information has been -- all been brought forward and
 2 there's been an opportunity to review it, for the Naha
 3 Dene Band to participate in some form of a discussion or
 4 forum to -- with some of the regulators in Canadian Zinc
 5 to get a better understanding of the -- the impacts from
 6 particularly the sort of the discharge strategy I guess,
 7 such that I can go back into the community and -- or the
 8 community when it sits down at the community hearing
 9 phase, or just before that, to -- can assess both the --
 10 the impacts or the potential positive impacts of the
 11 project, as been negotiated through the IBA (phonetic),
 12 weighed against, you know, a fairly thorough
 13 understanding of the potential impacts on -- on the water
 14 system, and certainly have the opportunity to determine
 15 themselves what the significance of those impacts would
 16 be.

17 So procedurally where are we in terms of
 18 that being able to get to that point where we can have
 19 that understanding?

20 THE FACILITATOR: Chuck Hubert, the
 21 Review Board. Thanks for those comments.

22 After the techno session, I understand the
 23 developer will need some time to process the information
 24 that has occurred here, and they will respond to the
 25 various information items and requests in due course.

1 That's their schedule.

2 I would like to once again mention that
3 parties are encouraged to meet with the developer on --
4 on some of these issues, on the side. And if there are
5 items that need to be addressed, we call them sidebar
6 meetings; we have a template for them which is on our --
7 our website. The intent is to get these unresolved
8 issues dealt with in -- in a smaller format with a
9 smaller group of people, and to provide a record of those
10 discussions and have them on the website once they're
11 completed. So that's -- that's one (1) follow-up
12 mechanism for -- with that I'd like to proceed with the
13 agenda.

14 So the topic, water storage pond,
15 specifically, or the catchment pond. The teleconference
16 -- can people hear me on the teleconference?

17 UNIDENTIFIED SPEAKER: Yeah, I can hear
18 you.

19 THE FACILITATOR: Thank you.

20 MR. RAMLI HALIM: Hi, this Ramli Halim, a
21 Hatch consultant with the Review Board.

22 The first one (1) is -- this is about
23 water storage pond. It's understood that the request for
24 the rebuilt perimeter dyke will be much higher than water
25 levels anticipated for the -- maximum flow in the flood

1 events. However, this flood level in the quick will be
2 used to determine how high is the protective slope of the
3 dyke.

4 And I -- in the Golder perimeter design
5 report, in Appendix 12 I believe of the DAR, uses the
6 elevation of eight hundred and seventy-five (875) for the
7 crest of the dyke, and I was wondering if you can
8 probably provide us information how that elevation eighty
9 (80) -- eight seventy-five (875) being derived for the --
10 for the -- for the design.

11 MR. DAVE HARPLEY: Our consultant will be
12 online in about ten (10) minutes. Can we revisit that
13 question?

14 MR. RAMLI HALIM: Okay. I guess probably
15 -- I guess probably I'm going to just -- I'm not quite
16 sure this next question that I have is related to the CDM
17 guideline. I was wondering if that's going to be the
18 same response, just going to wait for about ten (10)
19 minutes?

20 MR. DAVE HARPLEY: Yes.

21 MR. RAMLI HALIM: Okay. I'll go to the
22 next one. Is perhaps -- this is probably a question that
23 probably Byard can answer is -- is about the water
24 balance diagram that you provided yesterday. I just kind
25 of curious to know is there a minimum residency time

1 required for the processed water going from Cell A, which
2 is coming from the -- from the plan, go to the Cell B
3 before it being recycled?

4 MR. BYARD MACLEAN: Could you repeat the
5 question? I --

6 MR. RAMLI HALIM: Basically, I just want
7 to find if there is a -- in the diagram yesterday for the
8 process, what is the minimum residency time required for
9 the process water that you dump in Cell A from the plan
10 before it's actually going back into the Cell B.

11 Basically, effectively, I just want to
12 know in terms of if this water has to go through the
13 series of baffles, and I just want to make sure that
14 actually is that things being accounted for that it going
15 to be redraw back and there's enough time for that water
16 before -- because there's going to be some of these
17 chemicals has to be going to the process or actually have
18 to go getting aeration before it can be recycled back.

19 I was trying to figure out if there is a
20 bottleneck, for example, in terms of requirement of
21 water. You need more water because you cannot send that
22 one (1) back as quickly as possible.

23 MR. BYARD MACLEAN: Byard MacLean,
24 Canadian Zinc. The -- the actual aging time is difficult
25 to predict, but based -- based upon other operations that

1 are making lead-zinc concentrates, you need to have a
2 minimum of about two (2) weeks to be safe. And this plan
3 that we've put in place is -- the residence time is
4 measured in months, so I think from a process perspective
5 we've -- we've been extremely conservative.

6 MR. RAMLI HALIM: Okay. The next
7 question is related to the -- the north slope. There is
8 a historical instability of the old tailing ponds that
9 caused some concern, and further installation of the
10 slope indicators shows that there's still some movement
11 in the area.

12 What is -- the first question is what is
13 Canadian Zinc plan to the final design and construction
14 of the pond, in terms of additional investigation or
15 placement of additional instrumentation to make sure that
16 the plan that they have now is going to be working?

17 MR. DAVE HARPLEY: Dave Harpley. Can we
18 skip these questions until we have our engineer online,
19 please?

20 MR. RAMLI HALIM: Okay.

21 THE FACILITATOR: Thanks. Yeah, we can
22 skip those questions until you have your engineer online.

23 Chuck Hubert with the Review Board. Do we
24 have any questions from the floor that are related to the
25 topics under mine site components that would not require

1 an engineer to respond?

2 MR. JAMIE VANGULCK: Jamie VanGulck,
3 Parks Canada consultant.

4 I was wondering if we'd be able to look at
5 Table 6.4 of the DAR on the -- the screen there. I've
6 got a couple of questions about the numbers and it'll
7 probably just be clarification questions at this point.

8 MR. BYARD MACLEAN: What page is that on?

9 MR. JAMIE VANGULCK: It's page 199, Table
10 6.4. Thank you.

11 Some of the formatting in the left column
12 is missing at the bottom there, they've just been cut
13 off, and I think that's what's leading to my confusion
14 here. But the one (1) number that deals with backfill
15 not placed underground, it's about 308,000 cubic metres,
16 it's my understanding that the backfill component is both
17 the tailings and the DMS rock.

18 And if that's right, where does that
19 308,000 cubic metres go? Is that going to the waste rock
20 pile?

21 MR. ALAN TAYLOR: Is -- is Alan Taylor
22 here. You're correct, that goes -- reports to the waste
23 rock pile.

24 MR. JAMIE VANGULCK: Of the backfill
25 component then that is placed to the waste rock pile

1 using 2.8:1 ratio of tails to dense media rock, that
2 leaves about 120,000 cubic metres of tailings then going
3 to the waste rock pile at closure?

4 MR. DAVE HARPLEY: All the tailings go
5 underground. The three hundred and eight (308) is all
6 DMS rock that's going to the waste rock pile, not
7 tailings.

8 THE FACILITATOR: Thank you. Do you have
9 a follow-up question?

10 MR. JAMIE VANGULCK: Yeah, just a follow-
11 up. I guess the -- the terminology is what's throwing me
12 then. The numbers on the screen there show unplaced
13 backfill, which includes DMS and the flotation tailings
14 of 3.7 million cubic tonnes. Or sorry, 3.7 million
15 tonnes. The placed backfill is 3.4 million tonnes. The
16 remainder is 308,000 tonnes, which is both tailings and -
17 - and backfill -- or sorry, tailings and DMS rock.

18 But now you're saying that that backfill
19 is only DMS?

20 MR. DAVE HARPLEY: That's correct. You
21 could read that "backfill not placed" as "backfill
22 components not placed." It's not a case where we have
23 backfill, that we're basically filling the mine until we
24 -- we have backfill mix leftover; that's not how it
25 works, you know. We will be placing all the tailings

1 underground as backfill.

2 THE FACILITATOR: Does that answer your
3 question?

4 MR. JAMIE VANGULCK: Yes, thanks very
5 much. I have one (1) unrelated question. I guess I'd
6 just like to have confirmation that all tailings will be
7 placed underground. I did get a sense in the DAR that
8 there's some challenging endeavours that are related to
9 the dewatering of the tailings, and I know there's
10 challenging endeavours of actually running a placed
11 backfill plan.

12 In the event of either of those upsets,
13 will there for sure be confirmation that the tailings
14 will be placed underground? That might be related more
15 to the economics of the situation but in moving forward
16 that's -- that's a critical piece of information that's
17 needed to understand impacts. I don't know if there's
18 another plan for tailings management other than being
19 placed underground.

20 MR. BYARD MACLEAN: Byard MacLean,
21 Canadian Zinc. The design basis of the tailings
22 treatment system is to put 100 percent of the tailings
23 back underground. The Golder pace tech (phonetic) was
24 specifically engaged to deal with that specific issues
25 that -- about what combination of tailings, or tailings

1 plus reject, obtain that goal and fill as much of the --
2 of the -- the voids underground as practically possibly,
3 and 100 percent of the tailings.

4 MR. DAVE HARPLEY: Dave Harpley. Our
5 geotechnical engineer is on the phone right now. It's
6 David Caughill from Golder and Associates. So if you
7 want to go over those questions again.

8 THE FACILITATOR: Thank you. Yes, we'll
9 proceed with those questions.

10 MR. RAMLI HALIM: Hi, this is Ramli Halim
11 with Hatch, consultant to the Review Board. The fir --
12 the first question to Golder is about the waste and water
13 storage pond that I -- that facing the Prairie Creek.
14 The elevation of the riprap was designed for elevation
15 eight seventy five (875).

16 My question is -- the elevation eight
17 seventy-five (875) been chosen, what is that rela --
18 referenced to in terms of the flood of the Prairie Creek?

19 MR. DAVE HARPLEY: Okay. This is Dave
20 Harpley. I guess I misunderstood your question the first
21 time, but now I think I do understand what you're asking,
22 and I believe I can -- I can answer it.

23 The eight-seven-five (8-7-5) elevation was
24 selected by Copristman and Kilborn (phonetic) during the
25 original construction of the dam and it's based on their

1 estimate of the maximum probable flood they estimated at
2 the time.

3 Since that time, we engaged a hydrologist
4 from Hay and Company to review that estimate and update
5 it based on more recent information, and they came back
6 with a series of stage measurements at different
7 locations along the dyke for comparison to the original
8 estimates. And in every case they've -- they came up
9 with estimates that were -- flood estimates that were
10 lower than the original numbers, giving us more
11 confidence that the original design is still conservative
12 for floods of high magnitude.

13 MR. RAMLI HALIM: Okay. I guess the
14 second question is actually related to the first one.
15 Basically, I'm try to make a reference to what kind of
16 flood event that's related to, because the second
17 question is related to the CDM guideline that Canadian
18 Zinc thinks that for the water storage portion it is
19 relevant that it can be considering using a CDM -- can be
20 designed using a CDM guideline because it -- and then
21 it's been categorized as a high to very high risk.

22 And, therefore, I just want to find out
23 that for that high to high risk in the reply provided by
24 Canadian Zinc in their responses, and have mentioned
25 about a flood of at least 1:1000 year flood for the water

1 storage pond. If you can confirm that.

2 MR. DAVE HARPLEY: Dave Harpley. I
3 believe you're referring to information that was in your
4 Information Request from the Review Board, number 3. So
5 we've given a reply there. I think it perhaps actually
6 behooves you to answer whether that reply you were given
7 is acceptable or whether you're questioning it. And if
8 you are, on what basis you are.

9 MR. RAMLI HALIM: Well, basically, we
10 just -- I just want to find out that you actually kind of
11 in the response to 3.2 question for Mackenzie Valley
12 Impact Review Board that you can agree for that
13 classification and use of CDM guideline.

14 And my question is basically: Are you
15 designing that eight hundred and seventy-five (875)
16 elevation for the riprap is a -- as a level where the
17 flood is going to be for 1:1000 or even more? Because
18 that's what basically the CDM guideline requirement for
19 high to very high risk.

20 MR. DAVE HARPLEY: Dave Harpley. I'm not
21 sure it matters whether we agree or disagree if we're
22 following CDM guidelines or not simply because the design
23 flood used for the construction of the dyke is
24 considerably higher than those return period numbers
25 anyway. So I think it's just a moot point.

1 MR. RAMLI HALIM: Yes, I quite agree that
2 crest is -- I don't think there is any problems in terms
3 of the crest. I'm just asking for the top of riprap
4 because that's the one (1) that being protecting during
5 the maximum flood that going to happen during -- on the
6 Prairie Creek. That's the only question that come up
7 with elevation eight seventy-five (875).

8 MR. DAVE HARPLEY: Dave Harpley. I --
9 I'm not sure how to answer that. The eight seventy-five
10 (875) elevation, as I said, is based on the historical
11 estimate of maximum probable flood and the re -- the
12 reevaluation determined that that flood was at least, I
13 think it's a one (1) in -- was it ten thousand (10,000)
14 year return period? I believe it was as a comparable
15 estimate. So I'm not sure if that gives you your answer.

16 MR. RAMLI HALIM: Yes. I think that's
17 the kind of direction I have. Because when I go to the
18 Hay and Company records they mention about 1:10,000 years
19 flood, and then they provide the req -- what's the crest
20 of the dyke going to be, of course, and the number is
21 quite -- quite high. And I guess that's going to be less
22 than eight hundred and seventy-five (875). And that's
23 probably the number I'm looking for basically.

24 So I guess probably I'm going to move on
25 to the next question, is about the north slope.

1 Is -- my question is: What is the
2 Canadian Zinc plan prior to the final design and
3 construction of the pond in terms of additional
4 investigation, placement of additional instrumentation,
5 to make sure that current design that proposed is going
6 to be working for the site?

7 MR. DAVE HARPLEY: Dave Caughill, did you
8 answer that -- did you hear that question?

9 MR. DAVID CAUGHILL: Yes. It's Dave
10 Caughill with Golder Associates. Yes, I did hear the
11 question.

12 Yeah, prior to final design we will do
13 additional investigation of that north slope, including
14 additional drilling to investigate the extent of the clay
15 layer in that north slope where the contact is with the -
16 - the overburden and the rock at the north side of the
17 slope. And, further, kind of all -- all around
18 investigation further laterally on either side to make
19 sure we -- we know the extent of all the overburden
20 including the qual. air (phonetic) prior to final design.
21 And that will include installation of additional
22 piezometers and slope in kilometers at that time.

23 MR. DAVE HARPLEY: Dave Harpley. I just
24 wanted to added -- add more comment to that reply. It is
25 our understanding that the preliminary design that's

1 being prepared and provided to you at this point confirms
 2 that the north slope can be stabilized with a combination
 3 of removal of overburden on the slope itself and
 4 placement of a fill apron in the base of the pond, over a
 5 portion of the pond, and also the placement of a
 6 buttress. And in addition to that, maintenance of a
 7 minimum water level in the pond to act as an additional
 8 buttress.

9 So the question is not can the north slope
 10 be stabilized, the question for us is more how much we
 11 need to do in order to confirm that it's stable. And
 12 what we intend to do is to do more investigation not to
 13 further confirm that it's stable but more to optimize the
 14 design for stability.

15 We would like to, if possible, maximize
 16 the storage volume in the pond and also, if possible,
 17 reduce the minimum water level required to provide that
 18 stability. But we haven't done enough work at this point
 19 to -- to make those adjustments without confirming that
 20 we're not affecting the overall stability.

21 MR. RAMLI HALIM: Okay. So basically I -
 22 - I don't have any more comments on that one, I just
 23 wanted to get some information regarding the additional
 24 investigation so that you can proceed with your one (1)
 25 design and try to optimize what you mentioned.

1 And the next question is about a catchment
2 pond. Perhaps if you can provide a little bit details
3 for us here about the catchment pond in terms of the
4 operation capacity. But also I'd like to know a little
5 bit more about what's -- what's the catchment pond being
6 constructed on? Is it -- it has -- has it an impervious
7 liner in it or is the pond is being inspected and doing
8 one (1) of the various type inspection to make sure that
9 it can contain water as per water requirements? That it
10 going to stay there until it going to go back into the
11 creek.

12 MR. DAVE HARPLEY: Dave Harpley. The
13 first point I want to make is the compa -- catchment pond
14 is already built. It exists already. And also, the --
15 the pond dykes, as with all the dykes and berms along the
16 site, are inspected annually.

17 As far as modifications to the catchment
18 pond, we are proposing to line the pond. This is to
19 ensure that we have a secure control and containment
20 situation because the pond will be used for discharge of
21 treated water. And we've indicated that we want to have
22 the ability to stop discharge to the environment in the
23 event that there's an upset of -- of any case.

24 The -- we're not -- we're not relying on
25 any particular volume of storage requirement in the

1 catchment pond. We just simply want the opportunity to
2 have a final collection point and -- and the ability to
3 stop discharge. So we have not estimated the volume in
4 the catchment pond simply because we don't need a
5 specific volume.

6 MR. RAMLI HALIM: Okay. Actually, I -- I
7 don't have anymore question related to the water storage
8 ponds. I was just wondering if somebody else, other
9 parties, have some questions, specifically. Because I
10 have other question related to flood protection dykes but
11 perhaps I should stop here now just in case somebody else
12 has other -- the same question.

13 THE FACILITATOR: Thank you. Are there
14 other questions related to the storage pond or catchment
15 pond, either from the floor or on teleconference?

16 MR. FONS SCHELLEKENS: This is Fons
17 Schellekens, Natural Resources Canada.

18 Yeah, on the waste storage pond. I was
19 wondering if you could tell us if the -- the design
20 values for the -- or the design of the water storage
21 pond, if it's incorporated extreme weather events. So --
22 such as extreme rainfall, extreme snow melt, especially
23 with regards to the stability of the berms and dykes.

24 MR. DAVE HARPLEY: Dave Harpley. I'll
25 answer what I think I can answer and maybe Dave Caughill

1 will chip in.

2 I'm not exactly sure what you're referring
3 to but -- because I think there's a couple of different
4 things in there, but in terms of the ability of the
5 storage pond to retain peak precipitation and snowfall
6 events. I believe we covered that yesterday. And we
7 answered at that time that you can see from a 1 metre
8 freeboard at maximum operating level, which we're
9 unlikely to be at for any significant period during the
10 operation. I think that demonstrates that there's an
11 inherent ability to store peak events without any
12 particular issue.

13 If you're referring to stability of the
14 dykes in terms of magnitudes of floods, that was the
15 discussion we just had in terms of the elevation of the
16 riprap and the flood magnitudes that we discussed at that
17 time.

18 Did that answer the two (2) components of
19 your question?

20 MR. FONS SCHELLEKENS: Mostly, I think.
21 Then related to that, I would like to know if the design
22 took also into account -- so you -- you mentioned that
23 the water storage pond was designed based on the 1:10,000
24 year flood event, I would like to know if that
25 incorporated climate trends.

1 MR. DAVE HARPLEY: Dave Harpley. The
2 original pond was designed based on the maximum probable
3 flood. Subsequent work has determined that, by
4 correlation with regional staging -- stations, that flood
5 magnitude is comparable to a 1:10,000 return period --
6 year return period flood.

7 So that was the design basis for the --
8 for the flood events.

9 MR. FONS SCHELLEKENS: Okay. Perhaps I
10 should restate it. I -- I would like to see, say, some
11 diagram or some -- some graph how that 1:10,000 flood
12 event was determined. And it could be that you have
13 already provided it but I haven't found it.

14 THE FACILITATOR: Thank you for that
15 question. We'll give Canadian Zinc a moment to find a
16 appropriate response.

17 MR. ALAN TAYLOR: It's Alan Taylor, just
18 while Dave's looking for that info. You were asking
19 about precipitation. We intend to install diversion
20 ditches around the -- the circumference, or close to the
21 circumference, of the pond and there would be minimal
22 catchment for precipitation. And the size of the pond
23 itself, we don't anticipate that to be an issue.

24 MR. FONS SCHELLEKENS: Yeah. Well, that
25 -- that is helpful but actually just from -- I would say,

1 to give us confidence about -- yeah, about how -- how --
2 yeah, if -- if you have used climate trends and if you
3 have looked at that at all. I can't mention -- so you
4 can plot the precipitation, the precipitation data on
5 probability paper and then determine the 1:10,000 year
6 event.

7 Usually in precipitation data or
8 temperature data, any weather data, we can see trends.
9 And you can filter out those trends because they will
10 influence the other 1:50, the 1:100, the 1:500 year
11 events. And I would say it's, these days, standard
12 practice that climatic trends are incorporated in the
13 design. So, yeah, that's -- that's the background why
14 I'm asking.

15 MR. DAVE HARPLEY: Dave Harpley. I
16 believe the 1:10,000 estimate was contained as an
17 appendix to our project description report, but it's also
18 given in the DAR addendum and Appendix C.

19 MR. FONS SCHELLEKENS: Okay. I will have
20 a look at that and see if that answers my question.
21 Otherwise, I may come back to it.

22 THE FACILITATOR: Thanks very much. Do
23 we have further questions from parties on that topic?

24

25 (BRIEF PAUSE)

1 MR. RAMLI HALIM: Okay. I guess the next
2 is -- set of question is related -- I'm not quite sure,
3 are we going to go to the waste rock pile first or we
4 going to be flood protection dyke? I just have a very
5 small question on the flood protection dyke. Okay, I'm
6 going to do the flood protection dyke first.

7 And the question is -- is basically for
8 more clarification of confirmation. There are no
9 references in any of the documents for possible winter
10 ice cover effects on water levels within the Prairie
11 Creek. In some of the location in Northern Canada,
12 winter ice cover formation or spring ice jams can
13 actually exceed open water flood events. I just want to
14 find out if Canadian Zinc can provide or confirm that the
15 potential does not occur at the Prairie Creek site.

16 UNIDENTIFIED SPEAKER: Yeah. Sorry.
17 Could you repeat that question?

18 MR. RAMLI HALIM: Okay. Basically, I
19 just want to find out is, could you confirm that the
20 potential of spring ice jam or ice cover, winter ice
21 cover formation, doesn't happen at Prairie Creek. That -
22 - that it actually don't. Because some of the area when
23 you have a creek or river, in the wintertime there is
24 some ice jamming and the water level has come up very,
25 very high. And I was wondering if this is not a case

1 during the spring when they start melting.

2 MR. ALAN TAYLOR: Yes, it's Alan Taylor
3 here. Well, we don't have any hard data with that. We
4 do have data with the fifteen (15) odd years of
5 experience being on the property and we've never actually
6 encountered such a situation.

7 MR. RAMLI HALIM: Okay. The next
8 question is -- is also about the flood protection dyke.
9 Is -- the Canadian Zinc in -- indicated that the BC
10 guideline for flood protection dyke will be used and is
11 based on 1:200 year flood plus freeboard point five (5)
12 or 2.9 metre. The two hundred (200) year flood was
13 estimated by Hay and Company, it's on Appendix C or D of
14 the -- I believe that's the Addendum Report of DAR. And
15 it says that that's related to -- to a flow of 200 metre
16 cubic -- cubic metre per second. And in Appendix Q of
17 the Can. Zinc responses mentioned about occurrence of
18 2006 flood, which is higher than the one in 1977, which
19 was reported as being -- having a flow of 187 cubic metre
20 per second. In the 2006 flood the report I think was
21 prepared by HC. They're using an estimate, you're saying
22 a Hacwas (phonetic) software, and the flood is equivalent
23 to between 200 to 400 cubic metre per second.

24 Knowing that this flood happened in 2006
25 with a flow of between 200 to 400 cubic metre per second,

1 would accept -- accepting the BC guideline raise a
2 concern here as the designed flood was only 1:200 years
3 and the flood in 2007 already had a higher flow than
4 estimated for the 1:200 years.

5 MR. DAVE HARPLEY: Dave Harpley. I
6 believe Hay and Company were indicating that they
7 believed a 1:200 return -- year return period is the
8 appropriate design consideration. That was, at the time,
9 in response to questioning in the Phase III environmental
10 assessment.

11 In terms of the applicability, the 1:200
12 number, again, I believe this is a moot point because we
13 know that the riprap is designed for a much higher flood
14 magnitude, so I don't really see the relevance of the
15 question.

16 MR. RAMLI HALIM: Okay, so, basically,
17 the -- I assume that the freeboard requirement is -- is
18 above the -- what happened -- happened in 2007 because in
19 the design you do add a freeboard at, I believe, 2.5
20 metre, so that .5 metre is adequate so that the 2007 is
21 not overtopping that flood protection dyke, is that
22 correct?

23 MR. ALAN TAYLOR: It's Alan Taylor here.
24 The 2007 flood event you refer to, I was personally there
25 and we did do some measurements of the height of the

1 flood and there was still more than a couple of metres of
2 armour above that flood.

3 MR. RAMLI HALIM: Okay, well, I -- I
4 guess that's what basically my -- my question is, just to
5 confirm that the one 1:200 year flood design, you're
6 adding .5 metre on top of it. And when you're talking
7 about the difference between one (1) to two thous -- two
8 hundred (200) year and one (1) to two -- two -- ten
9 thousand (10,000) year flood, the difference in terms of
10 increase of crest is not fairly much, and that's, well,
11 perhaps covered by the -- by the freeboard that you
12 already designed, .5, and that -- for that reason, that
13 the 2000 flood, there is no overtopping.

14 Okay, I guess the next question, it's just
15 a quick one, has the riprap actually been designed for
16 the flood type or basically it's already placed, so
17 during inspection and doing the flood you make -- just
18 make an observation that the size of riprap is okay.
19 Like some of them is -- maximum was 2 metre, I believe,
20 and some of the area happen to have point 8 metre. But
21 has that thing actually been calculated, or it's just ba
22 -- basically a matter of experience?

23 MR. ALAN TAYLOR: It's Alan Taylor here.
24 The riprap that you refer to is armour along the -- the
25 dyke system, what was in place and originally set in

1 place in 1982, not quite completed when they walked away,
2 but it -- it provided more than adequate armour for
3 twenty (20) odd years of protection before we had a
4 assessment of it.

5 And we just recently, over the course of
6 the past two (2) years, we have repaired some of those
7 sections and we have actually completed some of those
8 sections, and those calculations of the riprap diameter
9 were based on actual measurements in the hydraulic system
10 there.

11 MR. RAMLI HALIM: I guess probably I'm
12 basically finished with the question for this. I just
13 want to get the opportunity to forward about this if I
14 have any question about the flood protection dyke.

15 MR. NATHEN RICHEA: Hi, it's Nathen
16 Richea with INAC Water Resources. I just had a question,
17 and it's more of a clarification really than anything.
18 So for the flood protection dyke, I think you mentioned
19 that during the 2000 -- or in 2007 there was a flow event
20 that was about a -- a few metres below the crest of the
21 dyke. Was it like a metre or a metre and a half?

22 MR. ALAN TAYLOR: It's Alan Taylor here.
23 The -- reference is just to the armour and not the dyke
24 itself.

25 MR. NATHEN RICHEA: Okay. Thank you.

1 It's Nathen Richea, INAC, Water Resources. Do you -- I
2 guess, to get -- to get to the point, do you know what
3 the return period was estimated for the flood event in
4 2007?

5 MR. ALAN TAYLOR: Alan Taylor here. No,
6 we don't.

7 MR. NATHEN RICHEA: Thank you. It's
8 Nathen Richea, INAC, Water Resources. I'm just thinking,
9 as part of our assessment, it would be kind of good to --
10 to use that sort of as a -- a level, because it was --
11 the facilities onsite were able to withstand that flood
12 level, and I'm just curious to see if we could sort of
13 get a return period for that flow level. And then we can
14 use it as part of our assessment. I wonder if -- if
15 that's possible, or...

16 MR. RAMLI HALIM: This is Ramli Halim
17 with Hatch. I have -- when the flood event happened in
18 2007, in Appendix Q they mention about flow rate of two
19 hundred (200) to 400 cubic metre per second. And on
20 Appendix C of Hay and Company report they do some
21 calculation of 1:10,000 year return of flood, and they
22 mention about a flow of 450 cubic metre per second. Some
23 of them was 500 cubic metre per second. So I guess,
24 probably, if -- probably you can answer your question
25 that the 2007 flood is a maximum 400 cubic metre per

1 second. So the return period would be less than
2 1:10,000. I don't know if that help.

3 MR. NATHEN RICHEA: Nathen Richea, INAC,
4 Water Resources. No, that's good. Thank you for that.
5 That's kind of where we were sort of going, trying to
6 assess. That -- that will definitely help us in the --
7 in our assessment, so thank you.

8 THE FACILITATOR: Thank you. Further
9 questions on the topic of the water source pond, or flood
10 protection dyke? If not, we'll move on to waste rock
11 pile.

12 Do I have questions from parties on the
13 waste rock pile?

14 MR. RAMLI HALIM: Okay. This is Ramli
15 Halim with Hatch, a consultant to the Review Board. This
16 is about a waste rock pile. I was wondering if you'd be
17 able to provide the maximum design flow for the Harrison
18 Creek, because it was mentioned doing -- I guess this is
19 also related to the information that you are going to
20 design your flow to make sure that the ditches and the
21 diversion ditches is going to hand -- can handle the --
22 the flow that going to happen from the end of the mine to
23 perpetuity, basically.

24 So I'm just wondering, I noticed yesterday
25 during the discussion that Harrison Creek, it's not a big

1 catchment area, and -- and you men -- even mentioned that
2 there is possibility that water flow is going to be very,
3 very minimal. If you can probably provide that comments,
4 please?

5 MR. DAVE HARPLEY: Dave Caughill...?

6 MR. DAVE CAUGHILL: It's Dave Caughill
7 with Golder Associates. I guess to the point of
8 clarification, the waste rock pile is in a side channel
9 to Harrison Creek. It's not in the Harrison Creek
10 channel itself, valley. So I'm not sure if --

11 MR. DAVE HARPLEY: Yeah, I think he
12 understands that.

13 MR. DAVE CAUGHILL: -- catchment to that
14 site valley is relatively small and very rarely runs free
15 water, just water in the -- that runs within the coulee
16 and within that valley there's very little surface water.
17 I'm not sure if that -- does that answer your question?

18 MR. DAVE HARPLEY: Partly. He's looking
19 for what consideration we've given to the limited
20 catchment.

21

22 (BRIEF PAUSE)

23

24 MR. DAVE CAUGHILL: Dave Caughill with
25 Golder Associates. We will have, in the design, channels

1 around the waste rock pile to divert any water from going
2 over or through the pile and divert that to Harrison
3 Creek.

4 MR. RAMLI HALIM: Yes, my question is,
5 when you -- at the end of the mine you're going to
6 provide a difference in channel, you have to size the
7 lock so make sure that water course is going to -- not
8 going to start eroding the -- the portion of the waste
9 cover, waste rock pile.

10 And my question is: Do you have
11 information at this time, or perhaps it's something that
12 you're going to be collecting during the operation of the
13 mine, to try to -- to get those information, how much is
14 flow going to be during that period so that you can
15 actually design the size of -- or sizing in the riprap
16 and ditches properly?

17 MR. DAVID CAUGHILL: Dave Caughill, with
18 Golder. Yes, we would -- we would proceed during --
19 during operations to measure the flows that are there, to
20 design the riprap protection of the pile, and to design
21 the drains during that time period. And, very likely,
22 the drains will be something like a french drain, which
23 allows water to flow but doesn't -- doesn't soak up with
24 time.

25 MR. RAMLI HALIM: Okay, the next question

1 is -- this is also for the final design. I think there
2 is a kind of insufficient reply to the Mackenzie Valley,
3 their Review Board request 1.3, in which the question is
4 related to the potential of raised water table.

5 The -- I'm talking about the local water
6 table behind the collection pond as a result of spring
7 freshet or -- and -- and frozen pond which can elevate,
8 or the localized water table within the stockpile.

9 This scenario must be checked. And I
10 wonder whether you did the stability analysis using waste
11 groundwater table for a local condition at a time when
12 the -- the collection pond is frozen and water start
13 melting and then kind of backing up against the waste
14 rock pile.

15 MR. DAVE CAUGHILL: It's Dave, with
16 Golder. It is our opinion that the -- you know, the --
17 the waste rock pile will be free draining, and -- and we
18 do not envision ice to build up within the waste rock
19 pile during operations. So we didn't desi -- we didn't
20 do a design with an elevated water table because we don't
21 believe it'll exist that way.

22 MR. RAMLI HALIM: Okay, so you basically
23 doesn't believe that taken -- there's a potential backup
24 of water because the pond still -- I assume that,
25 probably, in the wintertime the -- the collection pond

1 probably freezes over and some water that's going to be
2 frozen, and when you start spring freshet there going to
3 be some kind of a backup.

4 But I would -- my other question is
5 perhaps do you have enough factor of safety in the
6 stability analysis that you're probably not going to
7 concern about the potential raise -- raising of the water
8 table.

9 Is that another assumption that you can
10 make?

11 MR. DAVE HARPLEY: Dave Harpley. Before
12 Dave Caughill answers, I think the assumption that there
13 will be frozen water in the seepage collection pond is
14 incorrect. The collection pond will be empty because the
15 seepage from the prior winter period will have been
16 removed either by pipeline to the mill or by borehole to
17 the underground. So the pond should be available for any
18 freshet.

19 Any further comment, Dave?

20 MR. DAVE CAUGHILL: Yes, Dave Caughill,
21 with Golder. Yes, I agree that the pond will be
22 maintained empty, especially near the end of the season,
23 and that any water that freezes in the waste rock pile
24 would also drain as it thaws, so I don't -- I don't
25 foresee an elevated pore pressure scenario.

1 MR. RAMLI HALIM: Okay, I guess that's
2 basically the answer that I want to hear because I think
3 that answered the question. So if -- if you actually are
4 putting that pond empty because probably it makes sense
5 at the end of the -- of the -- of the summer season, and
6 there won't be any water there, so if the -- when they
7 start melting the snow and everything start moving, I
8 guess probably that's a correct answer. That kind of
9 answered my question about that one.

10 Okay, just the last question is -- it's
11 actually the same, the first one (1) is related to the --
12 our prediction of the stream flow, and I believe that you
13 mention already that you're going to do some measurement
14 to make sure that on the final stage on the reclamation
15 that you're going to be able to design the diversion
16 ditches accordingly, so that you don't have any problem
17 with the motion in the -- in the waste stock pile area.
18 Is that correct?

19 MR. ALAN TAYLOR: Yes, it's Alan Taylor
20 here. That is basically correct. We -- we don't have a
21 lot of data, because it's such an intermittent and
22 limited tributary, but that can be readily collected as
23 the operation proceeds.

24 MR. RAMLI HALIM: I don't have any other
25 questioning related to the waste stock pile, and I just

1 want to find out if there's other party that want to ask
2 the same question.

3

4 (BRIEF PAUSE)

5

6 MR. NATHEN RICHEA: Hi, it's Nathen
7 Richea with INAC Water Resources. I just had a question
8 about the waste rock pile. In the document that
9 discusses the waste rock pile, it indicates that there
10 will be monitoring conducted during pre-stripping, or
11 whatever preparation works are necessary for the footing,
12 or the foundation, I guess, for the pile. And during
13 those investigations you will also be assessing for --
14 the potential for permafrost to -- to exist, I guess, in
15 the -- in the foundation area.

16 I was just wondering if someone can
17 describe what actions will occur if permafrost is found
18 in the footprint of the waste rock pile and -- and, I
19 guess, what are some of the implications if permafrost
20 occurs in the area, or in the footprint of the waste rock
21 pile?

22 MR. ALAN TAYLOR: It's Alan Taylor here.
23 The base of the -- of the waste rock pile, where it lies
24 right now, is the focus of numerous drilling, just to
25 define the mineral resource. And we have not located any

1 permafrost in -- in that area at this time. And that's
2 based on numerous holes in there. And the overburden is
3 ver -- is not that thick in there.

4 MR. NATHEN RICHEA: Thank you. It's
5 Nathen Richea, INAC Water Resources. So I guess that's
6 a, yes, you'll be doing investigations as you go to look
7 for permafrost, because I think that's part of your
8 document. And then if you find permafrost, what
9 potentially could you be doing to address any concerns?

10 MR. DAVE HARPLEY: Dave Harpley. I think
11 what Alan just said is that we've done the investigation
12 and there is none. That -- that material will also need
13 to be removed to provide a suitable footing. It's a very
14 small amount of information. It's localized to the tow
15 (phonetic) area of the pile itself. The majority of the
16 pile footprint is exposed rock. So I think we can safely
17 assume that permafrost will not be an issue in this
18 location.

19 MR. NATHEN RICHEA: Thank you. It's
20 Nathen Richea, INAC Water Resources. Yeah, I -- I guess
21 I -- the only reason I was bringing it up is because the
22 documentation says that there is potential for permafrost
23 in the region and they will be doing monitoring as they
24 go. I was just curious to see what they would do if they
25 found it. So I'm not sure if I got the response there,

1 but that's okay. Thanks.

2 MR. ALAN TAYLOR: It's Alan Taylor here.
3 I might add to the database there that we have, it's not
4 just boreholes, but we have numerous roads cross-cutting
5 the area, which go down to bedrock and so far they
6 haven't revealed any signs of any permafrost there.

7 THE FACILITATOR: Thanks for that
8 question and response. Any further questions on waste
9 rock pile either in the room here or on teleconference?

10 MR. GLEN GROSKOPH: It's Glen Groskoph
11 (phonetic) with Environment Canada. Could I maybe get
12 back to you shortly?

13 THE FACILITATOR: Yes, how shortly?

14 MR. GLEN GROSKOPH: I don't know, probably
15 five (5) minutes.

16 THE FACILITATOR: Okay. We'll come ba --
17 we'll -- we will take a ten (10) minute coffee break
18 right now and we will turn to your question in ten (10)
19 minutes. So ten (1) minute break and return at about
20 twenty (20) to. Thanks.

21 MR. GLEN GROSKOPH: Thank you.

22

23 --- Upon recessing

24 --- Upon resuming

25

1 THE FACILITATOR: Mr. Harpley, could I
2 ask you to introduce some of your personnel, please.

3 MR. DAVE HARPLEY: On the telephone is
4 Frank Palkovits, who's our paste backfill engineer, and
5 also Bill Rozeboom, for Northwest Hydraulics. He's a
6 hydraulic engineer. Bill was -- has been responsible for
7 looking at the -- the riprap on the -- the dike and the
8 berm, and the repair of that, and also, his company
9 prepared the conceptual design of the outfall and did the
10 estimation of the size of the plume, mixing plume
11 downstream.

12 THE FACILITATOR: Thank you. It's Chuck
13 Hubert with the Review Board. Prior to the break we had
14 a request for a question from a party on the
15 teleconference with respect to the waste rock pile. I'd
16 like to go to that question now. Please proceed.

17 MR. GLEN GROSKOPH: Yes, Glen Groskoph,
18 thank you, with Environment Canada. And I guess it -- I
19 went through my notes to try to dig out what I had. And
20 I guess it kind of comes back to -- when I read the IS,
21 there was a section there that highlighted that there was
22 an acute lethality test that was conducted on the, I
23 guess the effluent or the pond water, and it was found to
24 be acutely lethal.

25 And I'm just wondering if you could maybe

1 explain a bit more, or maybe what the observed source of
2 that toxicity, and if it could be from some of the waste
3 rock piles or what that might be from.

4 MR. DAVE HARPLEY: Dave Harpley. We --
5 we covered this on day 1, I believe, but the toxicity is
6 related to the process water. It has nothing to do with
7 the waste rock pile.

8 MR. GLEN GROSKOPH: I'm sorry, I wasn't
9 able to participate on day 1. Do you guys have a
10 contingency? If you do have, you know, ongoing problems
11 with the quality of the processing water in terms of the
12 early -- if it continues to be lethal?

13 MR. DAVE HARPLEY: Dave Harpley. At this
14 point we're proposing to do further testing of the
15 process water during startup. And we plan to store that
16 water and not release it until such time as we've
17 demonstrated that it's -- that the discharge is not
18 toxic.

19 THE FACILITATOR: Thank you for that
20 response, Dave. Do you have a question specific to the
21 waste rock pile, which is the subject of discussion at
22 the moment, please?

23 MR. GLEN GROSKOPH: No, sorry, I don't.

24 THE FACILITATOR: Thanks. With that --
25 do we have further questions on waste rock pile?

1 Anybody? If that's the case, I'd like to move the
2 discussion on towards the underground paste backfill. As
3 the developer has noted, there is a consultant on the
4 teleconference that is available to answer questions on
5 that issue. So please, any questions?

6 MR. RAMLI HALIM: Ramli Halim, Hatch,
7 consultant for the Review Board. The first one (1) is
8 related to -- just -- I just want to get clarification
9 from -- from Canadian Zinc. In the document, on page
10 163, section 6.3.1, fourth paragraph, it was mentioned
11 that there is a cyclone going to be used in the process
12 to separate tailings into coarse and fine portion in
13 which the tailing, the fine tailings will go into the
14 tailing ponds.

15 I just want to confirm that this has
16 actually been scrapped or deleted from the -- from the
17 process now. It's the DAR, page 163, section 3.3.1 --
18 6.3.1, fourth paragraph.

19 MR. DAVE HARPLEY: Dave Harpley. We're
20 just reviewing what it says, but I've -- I -- I'm
21 thinking that this refers to the original intention and
22 it's not the current intention. It certainly was the
23 original intention to cyclone and send fines to the -- to
24 the large pond, but we've replaced that with the backfill
25 solution.

1 MR. RAMLI HALIM: Okay. So on the next
2 there is questions about the -- in the flow -- the flow
3 process seat, I don't know, you want to refer to the DAR
4 on page 189. There's a figure of six point eight (6.8).
5 I think that's perhaps the -- one of the sheet that
6 probably was come up on the screen yesterday.

7 There is the de-slime process on the -- on
8 the process. I believe that the de-slime process was
9 added for a lead carbonate flotation circuit to increase
10 the metal recovery. What is the chemical physical
11 property of the slime's produce and quantities and is
12 that actually going to go back in -- going back into the
13 paste backfill mix, as was shown in that diagram?

14 UNIDENTIFIED SPEAKER: You're looking at
15 the lead carbonate de-sliming circuit. The de-sliming
16 circuit going back to filter -- thi -- thickening
17 infiltration, I'm not quite sure what the question is.

18 MR. RAMLI HALIM: I just want to be sure
19 that those -- what is being produced from the de-sliming
20 unit and whether that's going to introduce additional
21 chemicals, and I want to be sure that it's actually go
22 back into the tailings when they be going underground,
23 it's not going to go somewhere else, is that correct?

24 MR. BYARD MACLEAN: That's correct, it's
25 going back underground. Byard MacLean speaking.

1 MR. RAMLI HALIM: Okay. And the next
2 question I have is this is related to the Canadian Zinc
3 response to the question from the Review Board, 7.1 and
4 7.2, regarding water bleed which come up in the further
5 questions.

6 The samples from 2009 show lower bleed
7 values when you compare them with the one (1) sample
8 taken in 2005. It is understood that the final
9 modification will be required to reduce the bleed to zero
10 perhaps authentically as opposed to a hydraulic fill,
11 paste backfill, should behave like a paste with no access
12 water.

13 Would this be achieved using the tailings
14 at Prairie Creek without increasing slime, or could you
15 provide those information, because the value that
16 provided in the test samples come up talking about 10 to
17 15 percent of water bleed, and my concern is about the
18 chemical constituent out of -- that going to go mix with
19 the mine water?

20 MR. DAVE HARPLEY: Frank, did you get
21 that question?

22 MR. FRANK PALKOVITS: Yes, I did. I'm
23 just going right back to my notes. Yeah, this is Frank
24 Palkovits. The -- the water bleed tests that are
25 typically done in a laboratory are really to simulate a

1 real logical performance of tailings without cement. So
2 that gives us a good impression of what is on the upside
3 if there is no cement and it relates much to the pipeline
4 and/or surface disposal if that was a requirement.

5 In this case, it's not the -- the --
6 that's not what's going to happen. In this -- what we
7 typically do then is we add cement to an underground
8 backfill. And in underground backfill the paste cemented
9 releases next to zero water at all. It's almost a ver --
10 it's -- it's almost essentially dry. And mar --
11 remarkable difference between hydraulic fill and paste
12 fill, hydraulic barricades to the bottom of the stove.
13 You could see lots of water being exuded.

14 On a paste backfill system there are often
15 times where there's -- it's sufficiently dry that you can
16 kick up dust at the front of a barricade. Now that's not
17 all projects, but the quantity that comes from paste is
18 the water that's retained is usually used up by the
19 cement hydration.

20 MR. RAMLI HALIM: Ramli Halim, with
21 Hatch, consultant to the Review Board. The next question
22 is leaching of metal as one placed backfill into
23 underground -- into groundwater, this is a long-term
24 issue.

25 Will paste degrade over time in term of

1 strength and durability, to stay as a block of impervious
2 to a groundwater flow?

3 In Appendix H of Canadian Zinc responses
4 show that the paste backfill is a solid block of low
5 permeability mass in which only the boundary area will be
6 subjected to the leaching process. Paste backfill has
7 very low string, low binder content.

8 And my question is: Will the paste block
9 breaks down, cracks or degrades over a long period of
10 time? We're talking a hundred years or so. Paste
11 analogy is only thirty (30) years old. Perhaps the
12 hydraulic backfill was much longer, perhaps over fifty
13 (50) years.

14 Are there any precedents that show that it
15 will not degrade with like weak concrete that's going to
16 be if you submerge in water over a long time.

17 MR. FRANK PALKOVITS: Interesting
18 question. I -- I think we're looking at a couple of --
19 of things, and there's -- and I'm not a hydro geologist,
20 but in a -- in a relative sense, the paste backfill,
21 poured underground, is there not to degrade generally for
22 a mine backfill in a mining operation.

23 Degradation upon mine closure as you
24 related is more about groundwater flows. And I think
25 that's a question that -- that is probably better

1 responded to by others. But I would say that -- that --
2 that generally the low permeability, low conductivity of
3 a paste is -- is that much lower than that of the
4 surrounding rock mass to -- to mining operations.

5 In this particular tailings, we have not
6 tested for extremely long durations, and nobody can test
7 for those durations, but we do know of a -- a number of
8 operations that have gone through similar testing and --
9 and demonstrated that the low conductivity is -- does
10 support the mining activity, and mitigates some of the --
11 the flow as far as I know.

12 So I think -- and maybe it's just as well
13 to have someone in a hydro geological aspect refer to
14 that.

15 MR. DAVE HARPLEY: Dave Harpley. Just to
16 add to that, on closure, the -- the backfill will be
17 completely confined, so there's basically nowhere for it
18 to go in terms of breaking down. But perhaps more
19 importantly from a water perspective, Robertson
20 GeoConsultants' studies suggest that 99.9 percent of the
21 groundwater movement will occur in the fractured rock
22 mass around the backfill mix and might actually contact
23 the backfill mix.

24 MR. RAMLI HALIM: Ramli Halim with Hatch.
25 Yes, I guess so basically in the analysis that done by

1 Robertson Geotechnical (sic), that the company of the --
2 of the -- of the portion of the paste backfill mass that
3 is going to affect it by the leaching process, basically,
4 on the outside to interface. And that's the reason that
5 they are -- the -- the modelling shows the -- the amount
6 of potential leaching is much, much less than they
7 initially anticipated.

8 I think in the first guess it was about 10
9 percent. And in fact, it's going to be much, much
10 smaller. However, if you consider that there is
11 potential crack in the paste, in the long term or
12 degradation perhaps, those numbers are going to raise
13 again, although perhaps still going to be reading that 10
14 percent.

15 This is just basically my comments about
16 that one. The next question is --

17 MR. FRANK PALKOVITS: One (1) clarifying
18 to that, one (1) clarifying section to that. The -- the
19 -- the paste backfill, even after long durations, does --
20 does not really set up as hard as the concrete. And so I
21 think the notion of a crack is maybe, from a -- from a
22 concrete actually cracking whereas the paste retains a
23 malleable and a deforming aspect, almost like an
24 unsaturated soil in a sense.

25 So there will not be any significant

1 cracks as you may see in a concrete.

2 MR. RAMLI HALIM: Ramli Halim with Hatch.

3 Okay. If there is no crack, probably -- could you pos --
4 possibly explain a little bit more? Perhaps is the
5 potential of shrinkage on this space or is this paste has
6 been designed so that it won't actually reduce in volume
7 so that it creates some kind of a spaces or voids, or
8 even crack that induced by -- not by -- it's not a crack
9 induced similar to a weak concrete, but it's going to be
10 because of a shrinkage.

11 MR. FRANK PALKOVITS: And so the -- the
12 formulation that was put forth for this project contains
13 a large degree of the aggregate. And like a concrete,
14 the aggregate prevents shrinkage to a very, very large
15 extent. Paste backfill as itself, even without the
16 aggregate, undergoes shrinkage much less than a hydraulic
17 fill. So in terms of the best available technology, this
18 would support something of -- of much less shrinkage.

19 Furthermore, the -- the mining methodology
20 of cut and fill, because you're always filling on top of
21 previous fill, so any shrinkage that may have occurred
22 through some form -- through whatever systems, will be
23 compensated by the next layering of fill being applied.

24 And it's only in the very, very end of the
25 mine life that -- or in those particular last sections of

1 mine that there may be some voids that may be less.
2 However, typical mining practices with paste can achieve
3 100 percent filling, whereas other mining -- other
4 backfilling methods can't. So again, I think this is the
5 best available technology to mitigate any of those
6 concerns.

7 MR. RAMLI HALIM: Okay. The next
8 question is perhaps a very quick you'll be able to answer
9 this. I just want to have a summary of -- based on the
10 2005 and 2009 testing, I -- I assume that at this time
11 there is a current plan in terms of what kind of mix
12 that's going to be used as an initial.

13 I know that's going to go to a final
14 design and my -- final adjustment in the field, there
15 are going to be two (2) different kind of mix, and
16 perhaps if you can explain that, which one (1) and what
17 kind of strength and the binder content, and the bland
18 mix, and also the slum for these mixes that you actually
19 propose.

20 MR. FRANK PALKOVITS: Okay. Essentially
21 the -- the amount of binder is -- is set by the
22 requirement to sustain a backfill that -- that main --
23 that is there to maintain the mining operation. And so
24 the binder could vary over -- from 1 percent up to 10
25 percent, depending on the nature of the particular stope

1 that's being mine, and how it is sequenced between
2 previous and future stopes, of course, and also the size
3 of the ore body at any one (1) particular location.

4 As a minimum to prevent what we -- what is
5 termed liquifax and that is if there was no cement in the
6 tailings, and you want it to be self-supporting, some
7 learned people in the fields of liquifax can consider
8 about 100 kPa as the minimum. And so that would be a
9 target.

10 The -- the slump typically would be
11 anywhere from possibly 6 1/2 to 7 1/2 inch slump upwards
12 to a 10 inch slump, and maybe -- maybe more so, depending
13 on distances from the plant and the pumping. And it is a
14 trade off from one (1) point of pumping pressures,
15 economics of -- of pumps and -- and binder.

16 So there's a -- there's a range that a
17 mine needs to operate within to maintain its economic
18 performance, but also ensure the integrity of the
19 backfill.

20 The -- the various mixes, we can increase
21 the amount of aggregate, or decrease the amount of
22 aggregate depending on what's available at the time and
23 what strengths are required. And -- and furthermore, the
24 amb -- the ambition here is to try to maximize the
25 tailings actually going into the underground rather than

1 a surface disposal. So we have a number of opportunities
2 to make sure we get the tailings underground and then
3 maybe by reducing the aggregate, when and where possible.

4 The binders that are available, there have
5 been a number of tests, and there may be more available,
6 but certainly the binders that are locally available are
7 considered appropriate for the project.

8 So as to mine may go into production or
9 when it goes into production, there is always a role for
10 optimization, and there are times to reduce the binder or
11 change the binder, and change the mix recipes.

12 MR. RAMLI HALIM: Ramli Halim with Hatch.
13 The -- the -- the strength of the mix, I believe the --
14 the upper portion is -- usually have a higher strength,
15 because they're going to use for traffic.

16 Is that correct?

17 MR. FRANK PALKOVITS: Yeah, the -- that -
18 - that could have a higher -- a higher percentage of --
19 of cement in order to give a bearing capacity, although
20 that can also be modified by just putting waste rock on
21 top of the fill, and thereby saving the -- the amount of
22 cement being utilized.

23 So there are a number of -- of
24 opportunities that the mine can use to allow good traffic
25 ability.

1 MR. RAMLI HALIM: Ramli Halim with Hatch.

2 I have just -- I have just a few more -- a very short
3 question, I guess. The next one (1) is about -- I just
4 want to check that -- are you thinking about using an
5 ordinary potence cement or something more specialized
6 like surface resisting?

7 And the second one (1) is: I assume that
8 during the development of the final environment for the
9 mixed design -- for the placement that you're going to --
10 are you going -- thinking -- also thinking of using a
11 different kind of binder other than cement?

12 MR. FRANK PALKOVITS: Well, the -- there
13 are different binders available, as mentioned. Within
14 the -- the Edmonton region there are flash available and
15 those are known to be fairly good, where sulphides do
16 occur. Plus during a swag we had attempted to try that.
17 The economics of bringing that into site is probably not
18 supported, just because there isn't any local glosphorant
19 (phonetic) swag available.

20 But the ordinary portland cement source in
21 Edmonton does not appear to be economic, although -- and
22 it was tested. But the -- as combinations are -- are
23 available, as well. I -- I think there's -- there are
24 still opportunities to -- as the mine gets working again,
25 to -- to continue to optimize and see what else is

1 available as time goes on.

2 MR. RAMLI HALIM: Yeah, I guess --
3 actually I have two (2) questions here, that's going to
4 be short. What is the concern related to the use of
5 truck and pipeline from combination as opposed to the
6 continuous pumping? Are Canadian Zinc only not able to
7 produce a mixed proportion using the tailings without
8 avoiding a high pressure on the pump pipeline, and all
9 the high water bleed from higher slump?

10 MR. FRANK PALKOVITS: No, it was a -- it
11 was a -- it was an economic tradeoff. Larger and larger
12 pumps, higher and higher pressures in the pipelines, the
13 further and further you go from the actual pump. And so
14 there's a power consideration.

15 As well, there's potential for a back
16 haul. And the other thing we considered were pumps
17 installed within the mine so that we could actually
18 consider using the booster pumps. That as a notion, I
19 think that both have a degree of -- of usefulness. I
20 think once you get into the operation it -- it may
21 change, as well.

22 The slump control can be managed from a --
23 from a very thick paste, a very -- to a more loose paste.
24 However, as you go from a thick paste to loose paste your
25 binder consumption goes up considerably.

1 So again, this is just an economic
2 tradeoff as to when to use trucks, when to use pumps, and
3 when to alter the slump.

4 MR. RAMLI HALIM: Ramli Halim with Hatch.
5 Thanks very much for your responses. I don't have any
6 other question.

7 THE FACILITATOR: Thank you. Do we have
8 any questions with respect to tailing space backfill
9 underground, tailing space backfill from people on the
10 floor? If the answer is no, and it seems to be, we'll
11 proceed with our next topic --

12 MS. KRISTIE TARR: Oh, I'm sorry, I -- I
13 missed my queue. I was -- I'm muting. It's Kristie Tarr
14 (phonetic) from Natural Reserves of Canada. I just have
15 one (1) question for Frank Palkovits about the mine
16 backfill.

17 THE FACILITATOR: Please, proceed.

18 MS. KRISTIE TARR: Okay. It's just in
19 regards to the Appendix I where you responded to my
20 Information Request. And all the answers were
21 sufficient. I just had one (1) question about the -- the
22 fact that the process water wasn't used in the laboratory
23 tests, and that there -- there doesn't seem to be a plan
24 to do any with the process water, and your response was
25 that the -- there would be no significant loss of

1 strength expected from using the process water rather
2 than tap water that must have been used in the lab tests.

3 And I was just wondering if you had done
4 any pH or other tests on the processed water that would
5 lead you to believe that the processed water won't
6 degrade the strength.

7 MR. FRANK PALKOVITS: Based on the water
8 testing from lead zinc operations, and from other -- our
9 similar projects, we haven't seen strength degradation
10 being largely controlled by the water chemistry directly.
11 It's more of the -- the constituents within the tailings.

12 There is also an opportunity, once the
13 plant starts operating, to recheck that and make sure
14 that that's -- that's not the case. If there is some
15 strength loss that may be attributed to the water that
16 can be compensated either by changing the water mix, or
17 changing of the binder consumption.

18 We've -- we've done some tests on other
19 projects looking at the water quality, and particularly
20 on thyo (phonetic) salts and other combinations. And
21 they, to date, have not provided significant changes in
22 strength.

23 MS. KRISTIE TARR: Okay. Thank you.

24 THE FACILITATOR: Thank you. Are there
25 follow-up questions from parties on the teleconference or

1 in the room?

2

3 (BRIEF PAUSE)

4

5 THE FACILITATOR: Thank you. We'll move
6 on to our next agenda item. They're sort of grouped in a
7 number of topics, and parties can speak to any one (1) of
8 them. I suppose it's manufacture, fuel storage and
9 reagent storage.

10 MR. DAVE HARPLEY: So Frank can leave us?

11 MR. FRANK PALKOVITS: Okay. Thank you
12 very much.

13 THE FACILITATOR: No. No. There's a
14 hand waving.

15 MR. DAVE HARPLEY: No.

16 THE FACILITATOR: Please stay on the
17 line.

18

19 (BRIEF PAUSE)

20

21 MR. NATHEN RICHEA: Sorry, it's Nathen
22 Richea, INAC Water Resources. We didn't have a question
23 specific to paste backfill, but we did have a question
24 that might need someone on the phone, if he's on. All
25 right. Thanks.

1 MS. ROCHELLE DRUMM: Yeah. I have to
2 leave -- this is Rochelle Drumm from WESA, and I'm
3 leaving shortly, and I -- okay. Rochelle Drumm from
4 WESA. I have a comment and it relates to closure. I
5 know that's not on the agenda at this moment, but I'm
6 leaving and I just thought I could put that through now
7 if that's fine?

8 The concern I have is that based on what
9 has been presented in the DAR so far, I feel like the
10 level of groundwater characterization at the site is
11 insufficient to accurately assess post-closure impacts to
12 Prairie Creek and to Harrison Creek.

13 The reasons I have for this is that the
14 groundwater characterization that is presented in the DAR
15 has -- is based on a simplified groundwater model, as
16 well as many assumptions on the hydraulic conductivities
17 of the units that play a significant role in the
18 groundwater flow model.

19 Using these assumptions may have been very
20 useful in the design of the water management system which
21 allows for a lot of flexibility in the treatment capacity
22 and also in the amount of effluent discharge, but -- so
23 you have a lot of control over the mitigating impact to
24 the environment.

25 But during post-closure when you won't

1 have those controls in place I feel that the fact that
2 you have made many assumptions and this has been handled
3 with estimating low and high values and then proposed
4 closure, I don't think that would give us an accurate
5 estimate of the impacts.

6 The other reason I have is that when you
7 compare the existing site conditions with the plume that
8 has already been generated from previous mining at the
9 site, you have a plume from the mine that extends right
10 to Prairie Creek, and you look at the limited amount of
11 data there and compare it to the predictions that were
12 made in the dark for post-closure, a lot of the
13 observations don't agree with what your case is for not
14 having an impact during post-closure.

15 For example, for post-closure, the DAR
16 reports that there will only be impact during winter
17 conditions and extreme low flow creek for zinc, lead, and
18 cadmium. Yet some of the chemistry tables that are
19 presented in the DAR show that you have in Prairie Creek
20 an exceedance of zinc at 27 micrograms per litre in
21 September when there are moderate creek flows.

22 So they're moderate flows, not low creek
23 flows, and it's during the fall and not in the winter.
24 Also, the -- in the DAR it says that you will also have
25 cadmium possibly and lead during the winter season during

1 low creek -- low creek flows, yet we -- there's a
2 monitoring well that's located down gradient from
3 Harrison Creek, 200 metres, right on the bank of Prairie
4 Creek, and it has a cadmium level of .73 micrograms per
5 litre.

6 In the DAR they're saying that the cadmium
7 levels will be attenuated naturally and so that it
8 shouldn't be an impact. Yet here you have a monitoring
9 well with a cadmium concentration that is twelve (12)
10 times what the site-specific condition is and it is
11 likely to be discharging into Prairie Creek and it will
12 not -- what -- what you can tell from this is that
13 natural attenuation hasn't decreased the concentration of
14 cadmium sufficiently by the time it reaches the -- the
15 creek.

16 So those are my major concerns, and as a
17 result, I -- I think that the groundwater
18 characterization needs to be brought up a level where you
19 actually have measured values and to verify that your
20 model is -- is right. And that -- then you can assess
21 the impacts better for post-closure, as well as studying
22 what is currently happening at the site now with the --
23 with the dissolved metal plume.

24 MR. DAVE HARPLEY: Dave Harpley.
25 Firstly, I find it disappointing that this information

1 wasn't brought forward in the previous two (2) days when
2 our consultant was here. Secondly, I don't agree that
3 sufficient information and investigation has been
4 undertaken, because the large part of the studies
5 conducted by Robertson GeoConsultants was specifically
6 focussed on closure and demonstrating the lack of impact,
7 or significant impact from groundwater.

8 I would suggest that these concerns be put
9 into writing, or a call be made to our consultant to
10 discuss these issues and to -- to get the response that
11 is appropriate, as I'm sure there will be an appropriate
12 response.

13 What I -- it's also -- a number of the
14 points that you raised here, we did actually cover in the
15 two (2) days, and it seems that you've forgotten those,
16 but I distinctly heard our consultant say that the
17 particular welling question that you referred to, he --
18 he believes that there are two (2) possibilities for
19 sources of contamination of that well. Both of which are
20 related to current conditions, and neither of which would
21 be applicable in a closure situation.

22 So that's that part. You also completely
23 ignore any reference to the estimation of what the pre-
24 mine impact, natural impact was, or that we've estimated,
25 and how that compares to the post-mine prediction.

1 THE FACILITATOR: Do you have a followup
2 question?

3 MS. ROCHELLE DRUMM: I do, yes. Your
4 consultant did mention that there may be different
5 sources for that existing contaminant plume, but one (1)
6 of them was through the MQV fault, and through Harrison
7 Creek alluvial aquifer, which is the model for post-
8 closure as well.

9 So there is a good potential that that may
10 be the -- the pathway that those contaminants are taken.
11 And the second comment I had was, did you mention that
12 the well -- what was your second comment about?

13 MR. DAVE HARPLEY: You were referring to
14 a particular well by the creek. And he distinctly said
15 that there -- he thought that there were two (2) possible
16 sources that he -- he believed were credible. Neither of
17 those were a relevant or closure scen -- scenario.

18 He did say that there was a possibility of
19 recharge from the vein fault, but he didn't believe that
20 was the case.

21 MS. ROCHELLE DRUMM: Right. Well, hence
22 is why I think better groundwater site characterization
23 is in order.

24 Also, you mentioned that you did predict
25 pre-mining concentrations in the creek. But if you

1 compare what you're seeing now in the creek to the pre-
2 mining, like for this one (1) example in September 2008,
3 I think the prediction that you made in these tables in
4 J4 predicted about 8 micrograms per litre. Yet what
5 we're seeing in September 2008 is 27 micrograms per
6 litre, so it's three (3) times more. It just instills a
7 lack of confidence in these predictions.

8

9 (BRIEF PAUSE)

10

11 MR. DAVE HARPLEY: You're referring to a
12 September 2008 -- you mean in a report, or in an actual
13 measurement? Which particular measurement are you
14 referring to?

15 MS. ROCHELLE DRUMM: Rochelle Drumm,
16 WESA. It's table 34, in Appendix A1 of the DAR. And it
17 -- the sample was taken at PC2, Prairie Creek, downstream
18 of the mill. There were two (2) samples taken, and both
19 of them report 27 micrograms per litre of zinc in
20 September 2008.

21 MR. DAVE HARPLEY: I'm -- I'm -- I'm
22 somewhat puzzled as to how you correlate that with a
23 closure scenario, given that we have an existing
24 disturbed site.

25 MS. ROCHELLE DRUMM: My concern is that

1 there's a lack of groundwater characterization to -- to
2 properly explain what is currently occurring, and what
3 will occur post-closure. The model didn't include the
4 hydrostratigraphic (phonetic) units of the alluvial
5 aquifers. The hydraulic conductivities that were assumed
6 didn't -- weren't based on measured values in the field.
7 This amount of -- level of effort could be done to get a
8 better, accurate, a better model of what's happening with
9 the groundwater at the site, especially for post-closure.

10 MR. DAVE HARPLEY: Dave Harpley. I -- I
11 don't believe you're correct. I can't say for sure. I
12 believe our consultant considered all the data. I would
13 encourage you to contact him directly and find out that.
14 I will say, however, that the consultant has been fairly
15 clear that the investigation work needs to continue, and
16 we are in the process of doing just that.

17 So it -- it's not that we're relying on
18 numbers that have been reported only at this point.

19 THE FACILITATOR: Thank you. Given that,
20 as you mentioned, the developer's consultant isn't
21 available today, I'd encourage the parties, INAC, and the
22 developer, perhaps, to get together at some type of
23 meeting, a focussed meeting to discuss this and perhaps
24 prepare a report of the results and submit that to the
25 Board. That would be useful.

1 MR. NATHEN RICHEA: Thank you. It's
2 Nathen Richea, INAC Water Resources. I would take that
3 as -- yeah, we would like to work with you and your
4 consultant on the aspect that we're discussing. And I
5 guess, yeah, I guess I could just leave it at that.
6 That's the easiest part. I'll just leave it.

7 THE FACILITATOR: Thank you. We look
8 forward to the -- the results of that. Since we're on
9 closure and reclamation, can we continue with any
10 questions parties might have for the developer on that
11 subject?

12 MR. NATHEN RICHEA: Hi, it's Nathen
13 Richea with INAC Water Resources. I just -- I just have
14 an item that I thought I would discuss here. Of course,
15 INAC has its mine site reclamation policy. We do have
16 guidelines for preparing a closure and reclamation plan.
17 So I'd like to acknowledge Canada Zinc for preparing our
18 preliminary closure and reclamation plan.

19 The only thing I did want to touch on was
20 in the plan it currently states that closure criteria for
21 chemical stability will include monitoring in the
22 environment compared to the site-specific water quality
23 objectives. And we -- we would like to encourage that
24 going forward in this process.

25 But again, we -- we may have an issue with

1 post-closure environment and whether those can be
2 achieved. So it's part of, sort of, our impact
3 assessment, but we will work with -- we're happy that
4 Canada Zinc would like to meet with us to talk about our
5 issue, and we'd like to bring that to everyone's
6 attention.

7 THE FACILITATOR: I hope everyone heard
8 that. All right. Thank you.

9 MR. DAVE HARPLEY: I'm just wondering if
10 there are any questions -- further questions for our
11 hydraulic engineer while he's on the phone, either to
12 deal with the -- the -- the armour in the dykes, or
13 indeed, the outfall in the mixing calculation. I
14 appreciate on the latter aspect that the parties haven't
15 had much time to consider it.

16 THE FACILITATOR: Indeed. Thank you.
17 The parties have had very little time to look at the
18 outfall document that you reference. However, if there
19 are questions that -- that the person -- person on the
20 teleconference may be able to respond to, please ask them
21 now. Okay. Thank you.

22 MR. PETER REDVERS: Peter Redvers. David,
23 perhaps you could -- he's hung up already, I wasn't quite
24 quick enough. Just in the summary there is a mention,

25 "a more complete description of the

1 mixing analysis methods and assumptions
2 will be documented in a subsequent
3 letter report."

4 Just an indication of when that would be
5 available. If you could -- I don't know if you know
6 that, but if you could find that out, that would be
7 helpful.

8 MR. DAVE HARPLEY: Bill, are you still
9 online?

10 MR. BILL GROSKOPH: Yes, I am.

11 MR. DAVE HARPLEY: Did you hear the
12 question?

13 MR. BILL GROSKOPH: Yes, we -- we can do
14 that with -- within the next week. We should be able to
15 do that next week.

16

17 --- UNDERTAKING NO. 25: For Canadian Zinc to provide
18 a more complete description
19 of the mixing analysis
20 methods and assumptions

21

22 THE FACILITATOR: Thank you for that
23 response. Any further questions? Proceed.

24 MR. NATHEN RICHEA: Hi, it's Nathen
25 Richea, INAC Water Resources. Just so -- just for the

1 record, and so that if there's nothing further or your
2 consultant can know -- I haven't been able to take a look
3 at the mixing in -- in any detail that I could ask
4 questions on, so I'm -- at -- at this point in time INAC
5 doesn't have any questions.

6 THE FACILITATOR: Are there further
7 questions? Please.

8 MR. JAMIE VANGULCK: Jamie VanGulck,
9 Parks consultant. We also have not had a chance to -- to
10 review the -- the existing summary document that was
11 provided. It would be very helpful to see the -- the
12 full in-depth report when it becomes available and to be
13 able to provide commentary and -- and followup questions
14 at that time.

15 It was initially noted that the range of
16 water quality parameters that were selected for the
17 analysis included five (5) water quality components and
18 with the followup information requests that were put out
19 yesterday there may be other components that are
20 necessary for water quality protection in the future.

21 THE FACILITATOR: Thank you. Do we have
22 further questions from people in the room -- or on the
23 teleconference? Okay. Party from NRCan please.

24 MR. FONS SCHELLEKENS: Yeah. I have -- I
25 have one (1) question, one (1) statement on the -- the

1 mine site components. And the -- the first -- I'll --
 2 I'll start with the statement. The terms of reference
 3 for the -- the project, the EA review, they -- they state
 4 that considerations shall be given to -- to climate
 5 trends, to -- to climate extremes, in the design, so it's
 6 terms of reference section 3.3.7.3 and the terms of
 7 reference section 3.3.2.8. And, unfortunately, I think
 8 neither extreme events nor climate trends have been
 9 incorporated in the design.

10 I had another look at what was provided by
 11 the Proponent, which is the Hay Co. report with the
 12 attachment from Cara Priestman and Associates (phonetic).
 13 And that clearly shows that a climate trend was not
 14 accounted for in flood design.

15 Also, the base data on which the -- the
 16 flood -- the 1:10,000 flood was calculated, they are not
 17 part of the Hay Co. report, so you cannot see the dots on
 18 -- on the graph.

19 I think it would be very helpful for us to
 20 -- to have that, and I don't think it is -- it is very
 21 difficult task or so to -- to put that together. So
 22 that's my statement.

23 And the other one --

24 MR. DAVE HARPLEY: Before you -- before
 25 you continue, I'm just wondering, Bill, do you have any

1 comment on that?

2 MR. BILL GROSKOPH: I'm -- I'm not quite
3 sure what the request is. The -- the only comment I
4 would offer is that the -- the climate change on the
5 short duration extreme events is extremely difficult to
6 predict.

7 When you get into the probable maximum
8 flood level of things, the probable maximum really
9 reflects a -- a limit which should not be affected by the
10 climate very much because it's the extreme out of all
11 possible conditions.

12 So by -- I -- I guess my two (2) comments
13 are if there's a specific request I'd like to comply, but
14 I'm not quite sure what the specific request is.

15 And -- and secondly, the -- the climate
16 change probably will not have any real impact on our
17 ability to quantify the specific recurrence interval or
18 specific magnitude of very extreme events.

19 MR. FONS SCHELLEKENS: Okay. I can make
20 it more specific then. So you have fourteen (14) years
21 of data for Prairie Creek, you have thirty-three (33)
22 years of data for the Flat River near the mouth, you have
23 thirty-four (34) years of data for the south Nahanni
24 River above Victoria Falls, and twenty-four (24) years of
25 data for the South Nahanni River above Clawson Creek

1 (phonetic). What you can do is plot this data, so on a
2 graph, and -- I am wondering if you have taken the
3 distribution to be a standard normal distributed -- yeah
4 -- or that you have considered a trend.

5 So -- and my suspicion is there is no
6 trend incorporated. So if you can confirm that. I know
7 it's -- it's hard to do, but it -- it would be good to
8 have that on record. If you can just tell me no -- no
9 climatic trend was taken into account, then I already
10 know more.

11 MR. BILL GROSKOPH: I -- I can confirm
12 that the frequency analyses are based on the data as --
13 as you have identified them and that no adjustment was
14 attempted for climatic trend.

15 THE FACILITATOR: Thank you for that
16 question and response. Do you have a further question?

17 MR. DAVE HARPLEY: Can I ask a question?

18 THE FACILITATOR: Yes, you can.

19 MR. DAVE HARPLEY: Dave -- Dave Harpley.
20 I'm just wondering if consideration of the trend has any
21 real bearing on the outcome in terms of flood magnitude
22 and what we have as far as protection already on site?

23 MR. FONS SCHELLEKENS: Yes. Yes, it
24 does. If you see a climatic trend, and say you -- you
25 have -- you're getting higher and higher floods, so the -

1 - the floods that occur -- the flood that occurred very
2 recently was considered an abnormality, but if that is
3 part of a trend, then that is a big concern.

4 So -- you know, I'll leave it at that.

5 MR. DAVE HARPLEY: And can I also ask why
6 this wasn't an Information Request?

7 MR. FONS SCHELLEKENS: This was in our
8 Information Request.

9 MR. DAVE HARPLEY: Can you tell me which
10 one (1)?

11 MR. FONS SCHELLEKENS: It's in NRCan 10.
12 It's NRCan 12. Yeah, that are basically it. And so both
13 of these things are followups based on your response to
14 those Information Requests.

15 MR. DAVE HARPLEY: Okay.

16 THE FACILITATOR: Would you -- Chuck
17 Hubert, Review Board. Would you like to restate that
18 question while the developer reviews their response?

19 MR. FONS SCHELLEKENS: Okay. I'll --
20 I'll read it up:

21 "Please provide any further information
22 on the design values with respect to
23 extreme events, rainfall, snow melt --
24 snow melt, utilized for stability
25 analysis and design of diversion

1 structures."

2 That as a followup of NRCAN 12. And as a
3 followup from NRCAN 10:

4 "Please provide additional
5 clarification on the assumptions and
6 the rationale for these assumptions
7 made, regarding the climate -- climatic
8 data utilized in design of project
9 components and the impact assessments."

10 And as a second part to that:

11 "Please provide any additional
12 information on any analysis conducted
13 to determine the range in climatic
14 conditions for the project area, and in
15 particular, the determination of
16 extreme events that may occur."

17 MR. DAVE HARPLEY: Dave Harpley. I think
18 we can probably resolve this by getting you together with
19 Hank Irwin (phonetic) concerning the data further. You
20 had another question?

21 MR. FONS SCHELLEKENS: Yeah, and that --
22 that involves getting something -- getting something on
23 the screen here so -- so I can read it up and be a little
24 bit more specific. So if that's okay with you. Or --
25 yeah.

1 THE FACILITATOR: Please request which
2 item you would like on the screen and we can discuss it
3 then.

4 MR. FONS SCHELLEKENS: On -- on my screen
5 actually so I can read it up.

6 THE FACILITATOR: Okay. Please proceed.

7 MR. FONS SCHELLEKENS: It's -- it's
8 actually not a -- not a big contentious issue. It's --
9 it has to do with earthquakes, say, seismic hazard, and
10 the values for the design.

11 MR. DAVE HARPLEY: Is it something you
12 can verbalize for our geotechnical engineer?

13 MR. FONS SCHELLEKENS: And it's very
14 short. So we had an information request, NRCan three
15 (3). And the -- the request was: What were the ground
16 shaking levels estimated at the mine during the 1985
17 events and is there any evidence for active faulting near
18 the side. And a deterministic hazard assessment, in
19 addition to the standard prob -- probabilistic hazard
20 assessment, should be considered. And you responded to
21 that and our seismic hazard expert was pleased with the -
22 - the -- the response.

23 Although he wanted to state that if the --
24 the deterministic hazard assessment values will not
25 necessarily be used in the design as suggested in the

1 last sentence of your response. But if the probabilistic
2 seismic hazard values are higher than the deterministic
3 then it is the probabilistic seismic hazard values that
4 should be used in the design analysis, as per the
5 building and dam codes and standards.

6 But it's -- that's just a comment and I
7 assume that that would actually happen.

8 MR. DAVE HARPLEY: Dave, did you get
9 that?

10 MR. DAVID CAUGHILL: Yes. It's Dave
11 Caughill with Golder. Yes, I got that, and yeah, you
12 were correct. If -- if it determinic -- deterministic
13 hazard assessment results in -- in lower values then we
14 would use the -- the other probabilistic values.

15 MR. FONS SCHELLEKENS: Okay. Yeah.

16 MR. DAVID CAUGHILL: That's the
17 confirmation you were looking for?

18 MR. FONS SCHELLEKENS: That's right. So
19 then -- then we are happy with that.

20 THE FACILITATOR: Thank you very much.
21 Any further questions on the topic of closure and
22 reclamation?

23

24 (BRIEF PAUSE)

25

1 THE FACILITATOR: Thank you. We have a
2 few minutes, about twenty (20) minutes, here before
3 David. I'd like to return briefly to our topic about
4 fuel storage, reagent storage, and explosives. If we
5 have questions from the floor or on teleconference,
6 please, we'd like to hear from you now.

7 MR. PETER REDVERS: Peter Redvers, Naha
8 Dehe Dene Band. I believe it was Natural Resource Canada
9 had a -- I'm trying to remember what session it was at or
10 where it was, that it indicated that if the -- with the
11 clear statement that there would be a -- a full explosive
12 manufacturing plant onsite, that there was a number of
13 permits and requirements that needed to be met.

14 And I'm just wondering if you could just
15 briefly go through that and just so that there's a -- I
16 guess some clarity and certainty from the community
17 perspective that that is an issue that is, or a -- a
18 facility, that will be fully regulated and properly
19 assessed prior to operation, construction, and operation,
20 and maybe some timing on that.

21 THE FACILITATOR: Again, our NRCan
22 participant respond to that?

23 MR. DAVE HARPLEY: This is Dave Harpley.
24 Maybe I can help with that response. We've been in
25 communication with the relevant people at NRCan and we've

1 provided some information already, which has also been
2 put on the public record.

3 And we -- it's a subject they were still
4 working on in terms of -- with our explosives, probable
5 explosives contractor, to bring forward new data. But
6 I'm sure that NRCan will be fulfilling their obligations
7 in terms of the explosives plant.

8 We are already talking about the
9 requirements for permitting. Our contractor is well
10 aware of those requirements and we're in the process of
11 preparing the relevant applications for that process.

12 MR. FONS SCHELLEKENS: Fons Schellekens.
13 And I -- I should have stated "Natural Resources Canada,
14 the geological survey of Canada," because that -- that
15 makes it clear that I am not with the mining and --
16 mineral sector.

17 So I -- I cannot speak for them
18 necessarily, but I will relay your question and will ask
19 them to get in touch with you if that's okay?

20 THE FACILITATOR: Thank you very much.
21 Any further questions on this topic? Okay. To wrap up
22 the morning agenda then, mine site component topics, I
23 guess since there's a couple minutes, is there any -- any
24 further questions then before our -- we wrap this up for
25 lunch?

1 MR. RAMLI HALIM: Ramli Halim with Hatch.

2 Actually I have another -- I don't know, perhaps it's too
3 late for person already left from Golder, paste
4 technology. There is a -- in the Golder report, appendix
5 12B, I think it was mentioned there are still some
6 concern in the design related to the filtering systems.

7 I believe this is more in the opera --
8 operation trying to optimize and -- and try to reduce the
9 costs. And I was wondering whether that things has been
10 resolved in -- in -- and Canadian Zinc already have a
11 plan for doing that final proposal mix for the -- for the
12 paste backfill?

13 MR. ALAN TAYLOR: It's Alan Taylor here.
14 Yes. We do intend to pursue this and -- with further
15 tests and the need for expanding and filtration will be
16 determined then.

17 THE FACILITATOR: Okay. Well, if that's
18 it. Thanks everybody for your questions and thanks to
19 the developer for their responses, and plus your team, as
20 well. That was much appreciated.

21 With that, we'll break for lunch and we
22 will continue with human environment topics, as described
23 on the agenda, in the afternoon and we'll get started
24 again at quarter to 1:00. See you then.

25

1 --- Upon recessing

2 --- Upon resuming

3

4 THE FACILITATOR: I'd just like to alert
5 parties to a small addition to the agenda. There's been
6 a request from Parks Canada to have a two (2) minute
7 closing statement and we will allow that after the
8 discussion under "Other Issues" for the technical
9 committee, and the developer, Canadian Zinc, will be
10 allowed an opportunity to respond to that. So that's a
11 change to the agenda.

12 Also, we will start this afternoon briefly
13 with a discussion from -- short discussion from DFO to
14 start things off.

15 I'd also like to mention scheduling for
16 the shuttle. There will be a shuttle leaving at 3:30, so
17 keep that in mind. And we'll announce something further
18 on that as we go ahead this afternoon.

19 So if we can have a brief question and
20 comment from DFO, please.

21 MS. SARAH OLIVIER: Sarah Olivier with
22 DFO. First off, apologies for backtracking in the agenda
23 but I just wanted to take this opportunity to speak to
24 and maybe clarify some of the outstanding information
25 requirements DFO has following yesterday's discussion on

1 the access road that I feel like I may not have been very
2 clear on.

3 I guess overall Canadian Zinc did provide
4 some good responses to our IRs both in the session and in
5 writing. But I think it's worth just clarifying that for
6 the record and, I guess, just to outline that some of
7 those information -- some of that information is required
8 for DFO during the environmental assessment.

9 So the first point that I want to clarify
10 was our information needs as it relates to water
11 withdrawal. As we discussed yesterday, DFO had asked
12 Canadian Zinc for an IR to provide exact locations and
13 estimates of water usage for the construction and
14 maintenance of the road. Canadian Zinc did identify one
15 (1) lake in particular, Mosquito Lake, that is a fish-
16 bearing lake, and said also that all the other water
17 sources would come from water courses, some of which are
18 also fish bearing.

19 We did also receive a rough estimate of
20 some of the water usage along the road. But as I
21 mentioned yesterday our protocol -- our -- DFO's water
22 withdrawal protocol does not include water courses, and
23 that potential impacts on fish and fish habitat would
24 still need to be assessed for all -- all water withdrawal
25 locations during the EA.

1 So the main point that I want to clarify
2 is that DFO would still require specific information on
3 locations of withdrawals, estimates of water usage and a
4 discussion on potential impacts of those withdrawals,
5 especially on over-wintering fish and fish habitat.

6 We would also like to see a discussion on
7 potential mitigation measures if appropriate and we feel
8 that that information should be provided as much as
9 possible during the environmental assessment.

10 The other point that I wanted to clarify
11 was related to crossings and the design of the road.
12 Yesterday, Canadian Zinc committed to providing DFO with
13 a conceptual design of the crossing, which includes
14 bridges and clear span structures, which is -- which will
15 be very useful to us. But DFO would also like Canadian
16 Zinc to include some information on how the design of the
17 road -- how the road and crossing design considered
18 erosion control methods.

19 So I know that Canadian Zinc had agreed
20 yesterday to develop a detailed sediment and erosion
21 control plan in the regulatory phase, which is fine, but
22 it's important not to confuse that with the information
23 that's required for the impact assessment.

24 So to summarize that point, DFO would
25 still ask that Canadian Zinc provide a conceptual plan

1 for the road, with a discussion on how sediment and
2 erosion control measures were considered in the design.

3 Also, if Canadian Zinc could identify any
4 potential vulnerable sections where additional armouring
5 or stabilization may be required. I guess in particular
6 Funeral Creek where bull trout have been found.

7 So I think that -- those were the main
8 points that I just wanted to clarify. I know that we had
9 had this discussion but I think those were just things
10 that may have not been clear on the record. So thank
11 you.

12 THE FACILITATOR: Thanks for that
13 clarification. I'd like to proceed now with our agenda
14 items for the afternoon under Human Environment.

15 So socioeconomic and cultural matters and
16 we can begin with those and if there's some overlap with
17 traditional land use and harvesting issues, we can
18 certainly accommodate that -- that whole general suite of
19 issues. So, please, any questions now is the time.

20 MS. KRIS JOHNSON: Hi. Good afternoon.
21 My name is Kris Johnson, I work for the Department of
22 Industry, Tourism and Investment with the GNWT.

23 We've -- we've put in several information
24 requests in regards to the socioeconomics and just before
25 we got into any of the details of some of the response

1 that we received from Canadian Zinc, I just wanted to
2 give them an opportunity, because some time has passed
3 since those Information Requests responses came out, to
4 maybe, for everybody's benefit, give an overview of the
5 approach that Canadian Zinc is considering for addressing
6 some of the socioeconomic matters related to the project.

7 MR. ALAN TAYLOR: Yeah, it's Alan Taylor
8 here. Perhaps I can give you a brief shot in time of
9 where we've been and -- and where we hope to go.

10 We've always had close ties with the
11 communities and identify the communities as critical
12 components to any successful project; hence, we've
13 engaged them as much as we can and we continue to do so
14 through to IBAs.

15 And it is our feeling that a successful
16 project reflects direct ties with the community and we
17 want to maximize the benefits and for -- for this project
18 to the locals. And while the terms of the negotiations,
19 the draft negotiations, with the IBAs are in confidence
20 right now it is, in general terms, towards that target of
21 -- of maximizing the benefits that accrue to the region
22 from the project, both direct and indirect.

23 Does that answer it in a nutshell?

24 MS. KRIS JOHNSON: I believe so. Kris
25 Johnson with the GNWT. So could you elaborate, I think

1 from the GNWT's perspective it's very important that the
2 local communities are the primary focus for maximizing
3 those opportunities, but where -- where their resources
4 are exhausted in some of the areas that they may not be
5 able to participate or provide the mine what they need,
6 how was Canadian Zinc planning to address some of those
7 socioeconomic matters across the NWT?

8 MR. ALAN TAYLOR: It's Alan Taylor. We
9 intend to maximize the benefits for the communities
10 through training programs and -- and direct arrangements,
11 business arrangements and such that reflect whatever the
12 operation and consideration is with certain aspects of --
13 of the -- of the mine. We recognize the limited
14 capacities of -- of some communities and such and we'd
15 like to enhance that through further education and
16 training. And we feel that that not only benefits the --
17 the region but it benefits the mine because it is -- we
18 anticipate a long-live mine here.

19 And -- it's Alan again, sorry. Our
20 consultant, Graham Clinton (phonetic) is here and joined
21 us, and he will be able to further elaborate on things I
22 hope too.

23 MS. KRIS JOHNSON: Thank you. Kris
24 Johnson again, with the GNWT.

25 So I guess from the GNWT's perspective

1 that, you know, what we would be looking for is that
2 first and foremost primarily the objective would be to
3 maximize opportunities for those impacted communities and
4 that, you know what, the GNWT fully supports the process
5 of negotiating impact benefit agreements.

6 Then the secondary objective would be to
7 maximize opportunities across the NWT.

8 So I think the -- the responses that we
9 got in the Information Requests last month really
10 focussed on the communities and the Impact Benefit
11 Agreements and that -- that helped us out a lot, and a
12 lot of those negotiant -- negotiations are confidential.
13 But we would like to see more of an analysis across the
14 NWT of what the capacity would be that could help the
15 mine, you know, employment, training, procurement,
16 contracting, and whatnot, that can't be met by those
17 communities through the Impact Benefit Agreements and how
18 some of those gaps can be filled and focussed in the NWT.

19 So I'm wondering if you have any more
20 strategies as far as that goes or some insight, some
21 plans for doing some of that analysis?

22 THE FACILITATOR: Chuck Hubert with the
23 Review Board. Thanks for the question. We'll give the
24 developer a moment or two (2) to -- prior to responding.

25 MR. GRAHAM CLINTON: Hi there. Graham

1 Clinton. First to apologize for being late; I didn't
2 understand it was starting a little earlier this
3 afternoon.

4 Perhaps I can elaborate a little bit on --
5 on your question. Because you're right, the focus
6 definitely in those responses was the -- the study area
7 communities. Principally -- well, there's a number of
8 reasons why.

9 I guess one (1) that perhaps has not been
10 discussed to the -- to this point is that looking at the
11 -- the detailed expenditure list that the mine will --
12 will -- the list of expenditures on goods and services
13 the mine will undertake over its operational period. The
14 capacity within the study area Community's Business
15 Development Corporations is such that they may be able to
16 take care of the majority of those needs that we sort of
17 felt that the Territory was in a position to -- to
18 deliver.

19 So particularly in the areas of trucking,
20 road building, care and maintenance, catering, those
21 types of services, we felt that the study area com --
22 Community Business Development Corporations would be able
23 to manage those -- those types of contractors.

24 Extending beyond that, certainly there
25 would be -- there -- there's equal opportunity for -- for

1 businesses outside of that study area to participate, and
2 there's -- there are no -- certainly no barriers being
3 erected to prevent any -- any of those businesses from
4 participating over and above or before service companies
5 or goods -- good providers from -- from the provinces of
6 Alberta or -- or British Columbia.

7 So I think principally the message is that
8 we looked at the business capacity within the region and
9 felt that the majority could be met there, and it's -- I
10 don't think it will be until you get to the opera -- the
11 actual operational phase that you start to see what --
12 what gaps might exist, at which point you would certainly
13 explore the territorial business capacity before you --
14 you'd look to the south.

15 MS. KRIS JOHNSON: Thank you. Kris
16 Johnson with the GNWT. So is that -- if I'm hearing you
17 right that your -- you know, your first commitment of
18 course is to the communities in that local study area,
19 but that your second commitment would be to look to the
20 resources and the capacity in the NWT, and that that
21 would be your next level of commitment for filling some
22 of those gaps?

23 MR. GRAHAM CLINTON: Yes, absolutely.

24 MS. KRIS JOHNSON: That's great. That's
25 -- that's exactly what we want to hear.

1 So the next logical step, I guess, from
2 our perspective would be to come to some kind of formal
3 agreement with Canadian Zinc for the life of the mine,
4 and including construction, operations, and remediation
5 on what those benefits -- or those opportunities would
6 be, and how the businesses and communities in the NWT can
7 participate in those opportunities. And laying out, you
8 know, a framework or some kind of agreement as to how we
9 can make those things a reality and how we can monitor
10 that those things are actually happening and, you know,
11 where there's issues arising, how we can work together to
12 try and solve some of those issues before looking outside
13 the NWT to address them.

14 So, is that something that Canadian Zinc's
15 interested in?

16 MR. ALAN TAYLOR: It's Alan Taylor here.
17 That's precisely what we'd like to move ahead on, with
18 the caveat that the IBA arrangements that we come to
19 agree have precedence over anything and any arrangement
20 we have with GNWT here. We'd certainly like to work with
21 GNWT and -- and try to optimize and maximize things just
22 as you would.

23 MS. KRIS JOHNSON: Kris Johnson with the
24 GNWT. I think that's great, that's exactly what we're
25 looking for. I think the -- the communities that are

1 within that study area that are most impacted by the
2 project should definitely be given the priority and
3 that's where we'd like to see the focus and then the
4 broader NWT.

5 So, yeah, and we'd like to, you know, have
6 further discussions with you about some of the details of
7 what that agreement would include. I know we've had some
8 discussions with Canadian Zinc about some of the -- the
9 issues or getting some clarity on some of the points that
10 were made in the Information Requests, so I don't want to
11 get too far down into the details of those.

12 I think that, you know, we're -- we're
13 willing to work with the company to address some of the
14 issues that we've discussed previously related to
15 employment, and training, and pick-up points, and
16 reporting parameters, and indicators, so, I don't want to
17 take up a lot of time as far as the details of those.

18 You know, I think the -- you know, so long
19 as the -- the primary focus is those impacted communities
20 in the NWT we can work within that framework to come up
21 to -- with an agreement that we're all happy and
22 satisfied with and that can meet our needs as to how the
23 GNWT can also help making this project a reality and to
24 the best benefit of the local communities and the
25 residents of the NWT. So I think -- no, I think that's -

1 - probably, for now, concludes our questions.

2 MR. ALAN TAYLOR: It's Alan Taylor. Just
3 a comment on that. While you mention agreements or
4 arrangements are -- are -- and such, we -- we don't
5 object to such dealings.

6 However, I just -- we want to remind
7 everybody in the audience here that keep things in
8 perspective. We understand that there are socio-ec
9 agreements in place with other mines and it's hard to
10 compare in a lot of the cases. And I just want to get
11 that on the record.

12 THE FACILITATOR: Further response to
13 that?

14 MS. KRIS JOHNSON: Thank you. Kris
15 Johnson with the GNWT. And you're absolutely right. And
16 you know, we support and look at each project on a
17 project-by-project basis based on your abilities and
18 capacities and needs as well. So, in no way would we
19 compare you with the diamond mines. And that, you know,
20 what would come up would be something that's unique and
21 individualized for your project.

22 THE FACILITATOR: Thank you. Do we have
23 questions from any other parties? Mr. -- Mr. Redvers...?

24 MR. PETER REDVERS: Thank you. Peter
25 Redvers, Naha Dehe Dene Band. I wasn't going to ask some

1 specific questions, but I thought it would be in the
2 interest of the Board at this Hearing just to get an
3 update on how the Naha Dehe Dene Band is dealing with
4 some of the issues relating to socio-economics and also
5 traditional and also of value to, perhaps, some of the
6 regulators and -- or, those that have interests,
7 including the GNWT.

8 I'll deal with the traditional land use
9 and harvesting first. Initially, or early on, in the --
10 well, going a couple of years ago, anyway, not that early
11 in relation to the project which has been in the works
12 for a number -- quite a number of years.

13 When the Naha Dehe Dene Band decided to
14 engage in the -- through the EA process formally, one of
15 the first steps that it took was to have a Traditional
16 Knowledge assessment of the Prairie Creek Mine operation
17 carried out. And there was a fairly thorough review of
18 traditional rights and interests in the area that would
19 be encompassed by the -- the mine project. An
20 articulation of those and also, at least at a preliminary
21 level, an identification of where there may be impacts
22 from the project operations, and with some preliminary
23 recommendations as how the community might want to have
24 those addressed.

25 As you are aware, a portion of that report

1 has been tabled with the Board, some of it in confidence,
2 but, certainly, the key, sort of, observations and
3 conclusions coming out of that are on the record.

4 And some of the -- the key concerns have
5 really been the focus for the Naha Dehe intervention in -
6 - in the EA, as I've mentioned.

7 The second thing that was done was two (2)
8 years ago now, I believe, was that the Band signed an MOU
9 with Canadian Zinc. And in that MOU there is a
10 recognition by Canadian Zinc of Naha Dehe Dene Band
11 rights and interests in the area encompassed by the mine
12 operation -- proposed operation.

13 And, therefore, an intent to address that
14 through, particularly as Canadian Zinc has mentioned, the
15 negotiation of an IBA. And that process is actually --
16 I've been informed -- I'm not directly involved in that,
17 but nearing some completion there has been some very good
18 progress made on that.

19 And to some degree, that is certainly
20 viewed by the community as an accommodative measure, not
21 only in terms of addressing some of the impacts, but in
22 terms of accommodation in respect to potential impacts on
23 rights and interests.

24 There are some differing views on -- on
25 impacts that are -- are -- are -- still exist and -- and

1 those will continue to be discussed in the community and
2 I'm sure will be addressed as this pro -- process
3 unfolds.

4 In the -- one (1) of the things that the
5 community has not wanted to do, and Canadian Zink has
6 been informed of that, and it was, I think, a little
7 problematic, perhaps, from a Board perspective, and that
8 is the community didn't want to quantify land use.

9 They had indicated their interest in that
10 land area and that that documented interest, including
11 Section 35 rights was enough of a basis to lead to
12 negotiation of some accommodative measures directly with
13 the proponent.

14 So that's why that -- the -- the proponent
15 hasn't tabled, I believe, within the terms of reference
16 for the -- for the Developer Assessment Report. There
17 was some requirement to table sort of quantitative
18 information on land use. And it was the community that
19 indicated that that was not the preferred approach.

20 In terms of where things are at with
21 respect to addressing traditional land use and harvesting
22 issues, the points that I've been raising on behalf of
23 the community the last through -- three (3) days really
24 speak to the outstanding concerns that would help address
25 that; one (1) being having control over road access and

1 that's still in the works. And there are some steps that
2 the community will likely take following this after I've
3 reviewed the -- the outcomes of this meeting with the
4 community. There are some steps or options that can be
5 taken.

6 As mentioned yesterday, there is an
7 interest in having involvement in wildlife management
8 planning, the development of the Wildlife Management
9 Plan, and there's definitely an interest in playing a
10 role in ongoing monitoring activities and there are a
11 variety of those.

12 Those will be discussed a little bit more
13 later on this afternoon in relation to the item
14 "Technical Committee" because the community has put
15 forward essentially two (2) options that have been
16 discussed with Canadian Zinc; one (1) being for the
17 community to have some independent environmental
18 monitoring capacity, and opportunities; that discussion
19 was also with INAC present.

20 The second, which is likely preferred, is
21 for the Naha Dehe Dene Band to be involved in some sort
22 of a technical sort of monitoring oversight committee,
23 along with Canadian Zinc and other affected or involved
24 agencies for the life of the... So we'll discuss that
25 one (1) further; that needs to be addressed.

1 So generally as we -- those issues get
2 further addressed and there seems to be some mechanisms
3 in place to do that issues associated with traditional
4 land use and harvesting are -- are being addressed by the
5 community at a -- in way that they're reasonably
6 comfortable with at this time.

7 I will add a little -- with little more of
8 information on that as I move to sort of the
9 socioeconomic stream/cultural, of course, traditional
10 land use and harvesting is highly cultural but look more
11 at the community context versus the whole traditional
12 land use area context.

13 As you certainly are aware, there -- there
14 was a critique of the socioeconomic analysis tabled with
15 the Board on behalf of the Naha Dehe Dene Band and
16 certainly one (1) of the -- the issues I think was that
17 was the lack of community specific data. And we also
18 recognize a response to that critique was tabled.

19 And certainly it's not our desire to get
20 into a discussion of the differing views on that because
21 what the community has chosen to do is to engage in an
22 community-based human resource and community economic
23 development survey that would help provide, from the
24 community's perspective, more specific data that the
25 community could then use to determine how best to ensure

1 full engagement with the project.

2 In -- in a nutshell, the survey is still
3 being finalized and actually will be -- the beginnings of
4 it will be carried out in a couple of weeks.

5 The overall intent of that I guess is to
6 identify potential barriers to engagement in the project,
7 and that includes educational and training and perhaps
8 cultural well-being barriers and then exploring measures
9 to overcome those barriers as a means to ensure that the
10 community and community members are able to take full
11 opportunity of the opportunities that are available. And
12 certainly there are quite a wide range of opportunities
13 that are presented by this project.

14 The community feels that its -- its
15 responsibility then to really look at how best to ensure
16 that it's able to fully engage and take advantage of
17 those opportunities in a way that -- that benefits it.
18 So the tool for that is -- is this -- initially this
19 human resource community economic development survey
20 which I might add is being co-funded by Education,
21 Culture and Employment and ITI of the GNWT, as well as
22 some -- a portion of IBA negotiations funding is going
23 towards that, given that there will be some information
24 coming out of that that will help with the implementation
25 of the -- the IBA once it is concluded.

1 The results or at least a summary of the
2 results of that survey will be tabled and the intent is
3 to complete that and have a summary available prior to
4 the community hearing. And then the further, I guess
5 discussion of some of the issues that were to be
6 discussed today, some of the socioeconomic, culture, and
7 land use and harvesting issues could then be more
8 appropriately discussed in the community context. It's
9 somewhat uncomfortable, I guess, to be talking about
10 those issues which really are community-based issues
11 sitting in Dettah, which is a long way from the Dehcho,
12 let alone a long way from the community of Nahanni Butte.

13 So it's preferred to have those
14 discussions in the community or to allow them to take
15 place at the -- at the community hearing, which we
16 understand is coming up in the relatively near future;
17 certainly in or around the Christmas period. So that's I
18 guess part of the reason also for not coming and really
19 getting into a whole lot of detail on some of the matters
20 here simply because the survey will provide further
21 information -- useful information from a community
22 perspective, discuss and address those issues, and, as
23 well, the IBA will be further advanced so there'll be
24 much greater clarity in terms of the commitments that
25 have been made in terms of some of the socioeconomic

1 benefits guaranteed to the community.

2 So, with that, I think that's -- hopefully
3 provides a -- a little bit of an update on -- on where
4 the community is with that, and I think the Board could
5 look to a more lively and -- and probably a more informed
6 understanding of those issues when it comes to the
7 community hearing and also through the summary that's
8 provided of the survey that's -- that is currently being
9 undertaken.

10 As well, as I'm assuming, although it will
11 be confidential, at least some indication of the kinds of
12 issues that have been addressed through the IBA, once
13 it's concluded.

14 THE FACILITATOR: Thank you for those
15 comments. I can assure you that the Board looks forward
16 to a community hearing in, hopefully, Nahanni Butte and,
17 if not, Fort Simpson, but, certainly, in the Dehcho.

18 And -- and one (1) other question I have
19 for you is you mentioned that the survey that you
20 referenced would be completed prior to the Hearing.

21 Does that mean November?

22 MR. PETER REDVERS: Peter Redvers, Naha
23 Dehe Dene Band. We're -- we're targeting having it -- a
24 summary done by the middle of October -- or, sorry,
25 middle of November. Yeah, certainly, we wouldn't want it

1 to go any later than November, if we can possibly help
2 it, because it will inform, not only the community
3 hearing, but there is already some discussions of
4 implementation planning relating to the IBA and it would
5 help to inform that as well, too, so.

6 Now that I have the mic, it -- it is a --
7 I -- I will impress upon the Board an understanding of
8 the Naha Dehe Dene Band that there would be a community
9 hearing in Nahanni Butte.

10 And, so, I -- I would certainly impress
11 upon the Board the need -- the need to hold the Hearing.
12 Now, if there is a -- recognized a need for participation
13 and, certainly, waiting to be assured that the ice road
14 is open, might be advantageous and that would allow
15 people from the surrounding communities that want to come
16 in to Nahanni for that Hearing to -- to do so reasonably.

17 But it would be very beneficial, I guess,
18 to hold the Hearing in the community who -- that is
19 likely most impacted and most affected by this
20 development, and -- and who are eagerly wanting, you
21 know, to be heard and acknowledged and recognized by all
22 parties as -- as having a somewhat compelling, if not,
23 primary interest in this project.

24 THE FACILITATOR: Thank you. A response
25 from the developer?

1 MR. ALAN TAYLOR: It's Alan Taylor. I
2 mean, our -- our roots go back a long ways with Nahanni -
3 - over twenty (20) years ago -- and while we can talk
4 about this, I think we're here for the EA and the
5 questions and I'd much rather sort of focus our questions
6 on those in particular. If we can resolve things, to
7 move ahead in this -- in this forum, that would be most
8 helpful.

9 THE FACILITATOR: Thank you. Can we
10 proceed then with specific questions from parties to the
11 developer on socioeconomic and cultural -- and cultural -
12 - sorry -- issues. Okay, I'll expand that then to
13 traditional land use and harvesting matters.

14 Any parties like to ask questions of the
15 developer on those issues?

16 Thank you. Also under Human Environment,
17 although it could have been placed in other segments of
18 the agenda as well is air quality.

19 Do we have -- okay, in the back there,

20 please. MS. AILEEN STEVENS: Hi. Aileen Stevens
21 with ENR. Yeah, I agree, air quality probably could have
22 been discussed with some other areas, because some of our
23 questions actually revolve around contaminant loading.

24 And, well, I guess it passes through the
25 air at some point. Anyways, thanks very much for the

1 responses to our IRs regarding the contaminant loading.
2 It makes a lot of sense to be using the Hefty bags.
3 Those definitely are a common practice for some ore
4 transport.

5 But just to clarify, I couldn't really
6 tell from the photos that were provided; these are the
7 Hefty bags that basically tie closed with shoelaces,
8 right; that type of thing, like, rope?

9 MR. ALAN TAYLOR: It's Alan Taylor here.
10 They're actually 3 to 4 tonne bags and they're -- they're
11 held together by straps.

12 MS. AILEEN STEVENS: Sorry, I -- I've
13 worked with Hefty bags before for sure, but where they're
14 sealed, are they heat sealed?

15 MR. ALAN TAYLOR: It's Alan Taylor. No,
16 they're not heat sealed, no. It's just the way they fold
17 back together, they stay -- self-seal up on a lift.

18 MS. AILEEN STEVENS: Okay, I guess, then,
19 the -- the one (1) outstanding comment, then, from your
20 description of how you're going to prevent dust migration
21 and -- and tracking around would be the secondary
22 containment.

23 You've indicated that secondary
24 containment wouldn't be practical for using these bags,
25 but since they're not 100 percent sealed, I guess the

1 only concern we have around is using the flatbed
2 trailers. I guess the photo that you have of them on the
3 flatbed trailers, it shows that they're single stacked
4 and they're strapped down.

5 Is -- is that the intention, or -- because
6 the other -- the other photo that you guys provide to
7 show how they're going to be transported out of the bag
8 house is in a closed rail car with walls and a lid.

9 So which will actually be the case?

10 MR. ALAN TAYLOR: It's Alan Taylor here.
11 Actually, both will be the case because the bags will be
12 transported on the flatbeds from the mine site to the
13 railhead. And along -- along the way they will be
14 temporarily stored at the transfer facilities.

15 But when they get to the rail, then
16 they'll be loaded on the railcar, which will probably be
17 an open gondola-type car.

18 MS. AILEEN STEVENS: Okay, well, I guess
19 ENR and EC would still have the concern for -- in the
20 event of -- of spills, the winter roads are not like
21 paved highways, of course, and in the event there's any
22 issue like that, secondary containment for the bags would
23 be a concern.

24 And have you looked into using anything
25 other than flatbed trucks; just anything to contain the

1 bags in the event of a truck tipping over or in the event
2 of them being left outside to be exposed to the
3 environment, 'cause these bags can freeze together if --
4 if precipitation falls on them. And then when they're
5 lifted, I've seen the bags tear apart.

6 MR. ALAN TAYLOR: It's Alan Taylor here
7 again. I guess the secondary containment would be
8 considered the season itself and they're frozen, because
9 the concentrate has a 8 percent moisture component, so
10 it's more or less an iceblock inside that bag.

11 MS. AILEEN STEVENS: Ms. Aileen Stevens,
12 ENR. Well, I guess that brings up another question then.
13 It looks like the concentrate's going to be 80 percent
14 passing through 80 microns.

15 Is -- is that generally the size? Okay,
16 so that's a -- a silt. And, so, if you can achieve 8
17 percent moisture, that's still going to be a friable
18 material when it's frozen. So, unless -- I mean, maybe
19 you have conducted studies of these in -- in 4 tonne
20 blocks, and if you drop them on the ground they won't
21 shatter at all.

22 But my understanding of -- of silt in the
23 frozen state with 8 percent moisture would still be
24 friable. So if it fell off the truck, it would still
25 fall apart.

1 MR. ALAN TAYLOR: It's Alan Taylor. But
2 it -- it wouldn't fall apart to the point where there's
3 dust produced and such. It would be in -- in chunks or
4 whatever and -- and it's -- it's more than manageable
5 that way for a -- for a cleanup.

6 MR. DAVID HARPLEY: Dave Harpley. I
7 think we need to be specific between normal operations
8 and a spill contingency situation. Because it seems to
9 me you're talking about a -- a spill scenario rather than
10 the regular operating condition.

11 MS. AILEEN STEVENS: Actually, that's --
12 that's very true. Sorry, Aileen Stevens, ENR. Yeah, if
13 it's in the frozen state being transported down the road
14 and the bags have been cleaned off and they're tied as
15 tightly as they can be and strapped down, that's correct.

16
17 I wouldn't expect that there would be dust
18 flying all over the place. It would be a still -- a
19 spill contingency consideration, but that does still tie
20 into standard operations because it would involve
21 different transport techniques as opposed to a flatbed
22 trail -- trailer.

23 MR. DAVID HARPLEY: So I'm not sure what
24 the question is then.

25 MS. AILEEN STEVENS: Have you con --

1 Aileen Stevens, ENR. Have you considered an enclosed
2 truck rather than a flatbed trailer for transport in
3 order to contain it in the event of an incident?

4 MR. DAVID HARPLEY: Yeah, Dave Harpley,
5 two (2) things. One (1) is, yes, we considered it and
6 quickly ruled it out because it's impractical in terms of
7 the quantity we have to move and the multiple loading and
8 unloading that we have to do.

9 And secondly, and more importantly, we
10 concluded that it wasn't necessary because of the
11 techniques we intend to adopt at the mine site to ensure
12 that the bags on the outside are clean. And that --
13 provided that they're secured and stay on the trailer,
14 there shouldn't be an issue of tracking along the
15 roadside.

16 In addition, of course we're not just
17 going to rely on that -- that's our expectation. We
18 intend to do monitoring dust fall and of the roadbed
19 because the last thing we want is a trail of metals along
20 the road that we have to remediate as a -- at a future
21 time. So if -- if we happen to find out that our
22 assumptions are incorrect, then we'll have to re-visit
23 the issue.

24 MS. AILEEN STEVENS: Okay. Aileen
25 Stevens, ENR. I -- I guess, based on the conclusions

1 reached yesterday about the spill contingency planning,
2 I'll just be looking forward to seeing what's in there in
3 terms of this type of matter.

4 I do have additional questions though.
5 Just with respect to your air quality monitoring -- or,
6 modelling, pardon me. The isoplus (phonetics) that were
7 provided as requested in the IR only indicated the areas
8 of expected exceedences and that doesn't -- that doesn't
9 display all the maximum anticipated dispersion and
10 deposition.

11 So I guess, you presumably don't have your
12 consultant here to discuss that, but it's just a simple
13 request, so.

14 MR. DAVE HARPLEY: It's Dave Harpley.
15 I'm trying to get him on the line right now, so just give
16 me a second.

17 MS. AILEEN STEVENS: Thanks.

18 MR. DAVE HARPLEY: He's calling in, so
19 he'll be online in a second. So the -- the fellow
20 calling in is Chris Madland he's with Golder Associates.
21 They did the -- the air quality dispersion modelling.
22 Chris is more of a monitoring person. I'm hoping that he
23 can address the modelling as well, but that remains to be
24 seen.

25 MS. AILEEN STEVENS: Aileen Stevens, ENR.

1 Sorry, is Chris on the line right now, or he's...

2 THE FACILITATOR: Chuck Hubert, Review
3 Board. Is there anybody on the teleconference currently?

4 MR. GLEN GROSKOPH: Yeah, Glen Groskoph,
5 I'm still on.

6 MS. ANNE WILSON: And Anne Wilson.

7 THE FACILITATOR: Thank you.

8 MS. AILEEN STEVENS: Ms. Aileen Stevens,
9 ENR. We can just request it as an undertaking if -- I
10 don't want to hold up the process too much here.

11 THE FACILITATOR: Or perhaps in the
12 interim you can ask one of your additional questions
13 while we wait for -- or do they all need the consultant?

14 MS. AILEEN STEVENS: Aileen Stevens, ENR.
15 Yeah, they do kinda tie together. It's -- it's just with
16 respect to us seeing the isoplus and the maximum expected
17 concentrations and then that would, of course, affect the
18 monitoring expectations.

19 The monitoring plan, however, was promised
20 at a later date. It's just that there was examples
21 suggested, such as five (5) dust fall locations

22 MR. CHRIS MADLAND: Hello.

23 THE FACILITATOR: Hello. Chuck Hubert,
24 Review Board. Please state your name and affiliation.

25 MR. CHRIS MADLAND: It's Chris Madland,

1 Golder Associates in Calgary.

2 THE FACILITATOR: Thank you very much for
3 taking the time to join us. There's a question for you
4 from the floor.

5 MS. AILEEN STEVENS: Aileen Stevens, ENR.
6 Hi Chris.

7 MR. CHRIS MADLAND: Hi, how are you?

8 MS. AILEEN STEVENS: Good. Yourself?

9 MR. CHRIS MADLAND: Good, thanks.

10 MS. AILEEN STEVENS: Good. We're just
11 talking about the dispersion and deposition modelling
12 that you conducted. Thanks very much for providing those
13 isoplus. It was just that the output only represented
14 areas of expected exceedences of criteria and we'd like
15 to be able to see areas of -- or of the highest expected
16 concentrations, not just those where there will be
17 exceedences. So that will help with establishing a
18 monitoring plan.

19 MR. CHRIS MADLAND: Right. Okay, we can
20 endeavour to provide that certainly.

21 MS. AILEEN STEVENS: All right, then.
22 Thanks.

23

24

25

1 --- UNDERTAKING NO. 26: For Canadian Zinc when
2 modelling air quality, the
3 output only represented areas
4 of expected exceedences of
5 criteria and ENR would like
6 to be able to see areas of
7 the highest expected
8 concentrations, not just
9 those where there will be
10 exceedences to assist with
11 establishing a monitoring
12 plan.

13

14 THE FACILITATOR: Chuck Hubert, Review
15 Board. Do you have any follow-up questions with respect
16 to air quality?

17 MS. AILEEN STEVENS: Aileen Stevens, ENR.
18 Thanks very much. No.

19 THE FACILITATOR: Thank you. Are there
20 any additional questions from either people here in the
21 room or on the teleconference with questions? Mr.
22 Redvers...?

23 MR. PETER REDVERS: Peter Redvers, Naha
24 Dehe Dene Band. With respect to the air quality, the
25 consultant's report that was submitted as a part of one

1 of the IR responses indicated that -- that there was a --
 2 because this was the consultant writing it, not Canadian
 3 Zinc, it was a consultant's report that there was the
 4 likelihood that the air monitoring system that was being
 5 proposed and the number of monitoring sites would be
 6 adopted. But we were just wanting to have a -- a clear
 7 commitment from Canadian Zinc that they would, in fact,
 8 be following the consultant's report and implementing the
 9 monitoring program that was put in place.

10 The issue with this is, just out of
 11 concern or wanting some assurance that in terms of worker
 12 health and safety, that it would seem to be some
 13 exceedences of some of the metal concentrates,
 14 particularly on site and in particular certain areas on
 15 site, and we'd like to have some assurance that workers
 16 are going in -- that are going into that mine site are
 17 adequately protected both from a monitoring system and
 18 any other kind of measures that are required to -- to
 19 protect both short- and long-term health of workers.

20 MR. ALAN TAYLOR: It's Allan Taylor here.

21 MR. CHRIS MADLAND: Did you want to
 22 address that, or...?

23 MR. ALAN TAYLOR: Yeah, I'll take it,
 24 Chris. It's Alan Taylor here. Workers' health and safety
 25 is the prime concern, and we always commit to our safe

1 practices on that. Not a problem.

2 MR. PETER REDVERS: Peter Redvers. Was
3 that a commitment, then, that you would be fulfilling the
4 recommendations or suggestions from the consultant in
5 terms of the air monitoring system that would be in --
6 put into place?

7 MR. CHRIS MADLAND: I'm sorry. If that -
8 - if that was a question for Chris -- Chris Madland, I'm
9 -- I'm having some trouble hearing -- hearing the
10 conversation there or the question.

11 MR. PETER REDVERS: Peter Redvers. I was
12 just noting again that in the consultant's report, there
13 was a suggestion for a particular air quality monitoring
14 system to be put -- put into place around the mine site,
15 and I was just asking for whether Canadian Zinc was going
16 to be -- make a commitment to, in fact, implement that as
17 -- as outlined in that report.

18 MR. CHRIS MADLAND: Right. So I'll --
19 I'll leave Canadian Zinc to answer that question, then.

20 MR. ALAN TAYLOR: It's Alan Taylor here.
21 Yes, we are committed.

22

23 --- UNDERTAKING NO. 27: Canadian Zinc commits to
24 implement the air monitoring
25 system as outlined in the

1 report.

2

3 THE FACILITATOR: Thank you very much.

4 Additional questions on the subject of air quality,

5 please.

6 Thank you very much. In that case, we

7 will move on to the subject of the -- well, there's been

8 some debate about what to call it, and I'm not sure what

9 to call it, so I'm not -- won't call it anything, but

10 I'll let -- the next agenda item, as you can see, on the

11 -- refers to a committee of some type that is ongoing and

12 may be altered in some fashion, and I'd be interested in

13 hearing parties speak to that, please. Peter...?

14 MR. PETER REDVERS: Peter Redvers of the

15 Naha Dehe Dene Band. With -- when the traditional

16 knowledge assessment was carried out, there was certainly

17 an interest on the part of the community to be involved

18 in -- on -- first of all, to ensure that a wide range, an

19 adequate range of monitoring was going on within the

20 traditional land use area, and that the community would

21 have an active role in that.

22 And there were a couple of options, I

23 guess, put forward and discussed earlier this spring.

24 One (1) was for, as I mentioned, the -- the band to have

25 -- or be resourced, possibly through Canadian Zinc and/or

1 the GN --INAC, to be able to carry out some independent
2 monitoring, particularly independent environmental
3 monitoring, and that was -- so that was one of the
4 options.

5 The second one, as I mentioned earlier,
6 which was the preferred one, was to have the Naha Dehe
7 Dene Band involved in some degree to some kind of
8 oversight committee. It may or may not be directly
9 involved in monitoring, but it would at least play a role
10 in looking at and assessing the type of monitoring that's
11 going on and being able to provide some advice and
12 guidance in terms of the adaptive management strategies
13 that might be utilized.

14 In the DAR - and correct me if I'm wrong,
15 David - the Canadian Zinc had suggested, as a part of
16 that -- in fact, Canadian Zinc had brought this forward -
17 - this option forward, that the technical committee that
18 was currently in place that was struck as a part of sort
19 of the transition, I guess, to the expanded Park boundary
20 scenario continue but be sort of adapted or adjusted such
21 that it would be able to fulfil that role.

22 And that adjustment might include --
23 certainly would include the addition of the Naha Dehe
24 Dene Band, but also perhaps some other agencies involved
25 in regulatory and compliance matters.

1 So that option was put forward, and I
2 think on August -- Parks was certainly one of the key
3 players. Dehcho First Nations is another party to the
4 technical committee. Parks Canada did respond and
5 indicated that there would be an interest in having that
6 type of a committee, or whatever it be called, struck,
7 but that they didn't feel that the technical committee --
8 they didn't feel that the technical committee was the --
9 necessarily the vehicle to do that, and there might need
10 to be a new group struck with some terms of reference.

11 We haven't -- there haven't -- hasn't been
12 an opportunity to really sit down and -- and work this
13 out, and we haven't -- at this point, there isn't a plan,
14 as such, to do so, but what we would like to get at this
15 -- out of this hearing is a commitment from parties and
16 if -- some preliminary discussion, if needed, certainly a
17 commitment from Canadian Zinc and a commitment from Parks
18 Canada, and a commitment or declaration of interest of
19 any other agencies at the table as to the steps that
20 might be taken to get this group or this committee up and
21 running and to begin to flesh out some of the roles and
22 responsibilities.

23 When we look at, you know, just as a -- a
24 bit of an example, the types of -- some of the monitoring
25 activities and oversight activities that we've been

1 discussing over this last couple of days obviously relate
2 to water quality, the discharge, and that's both
3 discharge in terms of the -- the process out of the
4 treatment plant, as well as some of the site drainage
5 issues.

6 There's discussion today about the kind of
7 monitoring and perhaps adaptive management that might be
8 required with respect to the paste backfill operations,
9 air quality monitoring obviously. There's going to be
10 some adaptive management requirements potentially,
11 development and implementation of a wildlife management
12 plan. Again, it's going to have adaptive management
13 features within that.

14 There will be a need for monitoring of the
15 road operations, and that would -- certainly a primary or
16 key one from the community's perspective is spill
17 prevention, and then just general safety and obviously
18 the issue of access, and that depends on the kind of
19 access controls that might be put into place.

20 There will be development and
21 implementation of an Aquatic Effects Monitoring Program.

22 There is -- once the archaeological impact
23 assessment it does -- is done, there will be need for,
24 and I think there's a commitment to, develop heritage
25 resource management protocol, and that would encompass

1 both parks as well as the areas outside of the Park, and
2 then obviously there will be a post-closure monitoring
3 down the road at some point.

4 So these kinds of -- this kind of
5 monitoring is really critical for when you -- when you
6 look at protection of the traditional land use area, the
7 traditional environment, and so engagement in that is a -
8 - is a really critical aspect of this project for the
9 Naha Dehe Dene Band.

10 So, I guess what I'd like to -- and the
11 question is -- and it would be directed to Canadian Zinc
12 and it would be directed to Parks Canada and the other
13 agencies at the table -- is: What steps could be taken
14 to move forward on beginning to flesh this out and
15 provide some more detail to it and begin to create some
16 structure that would allow for Nahanni engagement in the
17 range of monitoring activities that are required?

18 And again, this may not be a body that
19 does monitoring or -- but one that just has some
20 oversight in terms of what is going on and the results of
21 it and how that may feed into adaptive management
22 strategies.

23 THE FACILITATOR: Thank you for that
24 question. Would the developer like to respond, please?

25 MR. DAVE HARPLEY: Dave Harpley. We see

1 a role for a -- a body that is both focussed towards
2 management and review of technical information, and also
3 a vehicle for public engagement and interaction,
4 including community engagement. And whether we consider
5 that to be an evolution of the existing CZN Parks Data
6 Technical Committee or just a -- a -- a new body, I'm not
7 sure if it's different or the same, but what we have in
8 mind is that the body we're talking about -- let's call
9 it the technical advisory committee, just for simplicity
10 -- what we have in mind is that one (1) or more parties
11 might be tasked with managing the administration of such
12 a committee. That can be co-managed perhaps between CZN
13 and Parks, or, if Parks are not happy to do that, then
14 CZN could take it on by themselves.

15 But the intent is really to meet
16 frequently and consider information and consider the
17 necessity for adaptive management and whatever else is
18 required for the -- the operation, and also an
19 opportunity for parties, agencies or public to raise
20 concerns or questions and have them dealt with in a
21 multi-party manner so that they feel comfortable that
22 they're given fair and due consideration and not a bias
23 from -- from one (1) party only.

24 What I have in mind is that this committee
25 would meet three (3) times a year. The -- there would be

1 a winter meeting, perhaps in Nahanni, so that there would
2 be a community meeting in -- in that particular location,
3 and also at a time of year when the ice bridges are in
4 operation so access is easy. And also at that time of
5 year, road operations may be in progress, so there's an
6 opportunity to review those operations.

7 Then a spring meeting in Fort Simpson, and
8 that would be the main meeting of the year; if we were
9 going to consider annual information, perhaps that would
10 be the appropriate time to do that, and that location's
11 been selected because it's the location in the region
12 that's most easy for everyone to get to in terms of
13 people coming perhaps from other locations.

14 I'm suggesting that that meeting might be
15 attended by agencies that wouldn't normally participate,
16 that might just come once a year, and that would be their
17 -- the appropriate time to attend.

18 And then the third meeting perhaps would
19 be at the mine site in late summer, which gives everyone
20 the opportunity to see operations actually in progress at
21 the mine, and it can include a mine tour.

22 So that way, we're -- we're covering the
23 two (2) main impacted parties, and also the mine site.

24 So that's kind of the generality of what I
25 have in mind at this point. I haven't really given a lot

1 of thought beyond that to specific details but,
2 certainly, we can discuss that moving forward.

3 THE FACILITATOR: Thank you. Would Parks
4 Canada like to respond to that?

5 MR. MIKE SUITOR: Mike Sutor, Parks
6 Canada. As I've stated before, and officially on the
7 record for this file, Parks Canada is very interested in
8 ensuring something similar to the technical advisory
9 committee, or whatever name might be struck for it, is
10 put in place.

11 As I've suggested before as well, we -- we
12 would prefer that a new terms of reference be drawn up
13 rather than evolving from the existing one, to ensure
14 that the purpose is clear and the application of the
15 group is clear as well.

16 I think some of the issues that Peter
17 listed off there provide an excellent example of what the
18 terms of reference might incorporate, or at least the
19 scope of the term of reference.

20 I think some of the components that Mr.
21 Harpley brought up as well also provide an example of --
22 of what the terms of reference might include.

23 And -- and I would suggest that perhaps
24 the next step might for Canada (sic) Zinc to draw up that
25 terms of reference, incorporating some of those

1 components, as well as suggest the parties to that
2 committee and possible involvements, and send that out
3 for review, if that's amenable.

4 MR. DAVID HARPLEY: David Harpley. Yes,
5 we can do that. Just to expand on my kind of impression
6 of the committee and what it would do and how it would
7 function, a bit of background to it is, I think we all
8 probably recognize that there are a number of different
9 interests in the region, and the mine is just one of
10 those interests. We have to recognize that, as far as
11 jurisdiction goes, the area of the mine site and half of
12 the winter road still resides within the NWT, and so GNWT
13 still retain a role, particularly for wildlife.

14 Of course, we're surrounded by the Park at
15 the mine, and the road actually crosses the Park, so
16 clearly Parks are also involved.

17 So I really see this as a multi-party,
18 multi-stakeholder type situation where we need to
19 consider co-management and cooperation and collaboration
20 on surveys and oversight and monitoring and such. So
21 that's kind of why I see it just make sense to have us
22 all at the same table.

23

24 --- UNDERTAKING NO. 28: For Canadian Zinc to draw up
25 the terms of reference,

1 incorporating some of those
2 components, as well as
3 suggest the parties to that
4 committee and possible
5 involvements, and send that
6 out for review re formulation
7 of a technical advisory
8 committee

9
10 MR. MIKE SUITOR: Mike Sutor, Parks
11 Canada.

12 I certainly agree with those comments, Mr. Harpley, and I
13 would certainly hope that GNWT and possibly INAC would be
14 very involved in this.

15 As you mentioned, half the road and -- and
16 the mine site itself are actually in their jurisdiction,
17 not Parks Canada, although we of course have a large
18 section of the road within parks, and the mine itself --
19 the mine and its development will certainly be affecting
20 Nahanni National Park, so we do have a vested interest,
21 and, as I've indicated, would be very much interested in
22 being involved in this committee.

23 The one last comment that I'd like to make
24 about it is -- is that, as we move forward on this, I
25 would -- Parks Canada would certainly wish to ensure that

1 any committee that was struck would be effective to its
2 fullest ability, and -- and not just a -- simply a
3 review, but to help in decision making, of course,
4 respecting each organization's mandates and requirements
5 as they may be.

6 MR. PETER REDVERS: Peter Redvers, Naha
7 Dehe Dene Band.

8 There were, I know, in the discussions
9 we've had in community and with the Chief Fred Tesou on
10 this matter, there is a concern that it doesn't get too
11 large or too unwieldy as well, so that the voice of the
12 community gets a little bit muted or overwhelmed.

13 So some consideration, and I -- I believe
14 you have given that consideration, David, to somewhat of
15 a core group that -- with -- with the understanding, as
16 you mentioned, with the spring meeting, that other
17 parties that have a -- have a role to play, but maybe not
18 an ongoing role, could be brought in and have an
19 opportunity.

20 So I guess the question I would have, if
21 there were some other agencies present, or certainly
22 other governments, including the -- the Dehcho First
23 Nation regional government, if -- if any of them would
24 like to comment on this -- what's being discussed and
25 what their role might be in it, or what their interest

1 might be in it.

2 MR. JONAS ANTOINE: Thank you. Jonas
3 Antoine, Dehcho First Nations.

4 I think the implications are deeper than
5 what I hear, because it goes back many years ago to 2001
6 when Dehcho First Nations signed an interim measures
7 agreement with Canada. And in that interim measures
8 agreement, one (1) of the things -- one (1) of the
9 directions out of that was to start working with Parks
10 Canada to -- to -- to manage the Nahanni Park. And
11 through this setup Parks Canada signed an MOU with
12 Canadian Zinc to recognize one another.

13 Canadian Zinc says, Yeah, we're in a park,
14 and Parks Canada said, Yes, we have a mine in the middle
15 of the Park - that understanding. And this is where the
16 technical committee was struck, because when Parks Canada
17 signed the MOU with Canadian Zinc because Dehcho First
18 Nations was partners with Parks Canada, we automatically
19 became a part of this MOU.

20 So it -- the implications are a little
21 deeper than that, you know, so I think we have to take --
22 do the right steps to -- if -- if we want to set up a new
23 -- or -- or restructure the committee, we have to
24 backtrack a little bit and do the right moves.

25 And I think Mike from Parks Canada, do --

1 do you have any -- anything else to add to that, or...?

2 MR. MIKE SUITOR: Mike Sutor, Parks
3 Canada. Thank you, Jonas. No, I don't think I do. I
4 think you did encapsulate that very well.

5 The way that we see the MOU that was
6 initially signed was for the establishment of the -- the
7 Park, as well as recog -- like you said correctly,
8 understanding -- recognizing both the establishment of
9 the Park expansion, as well as Canada (sic) Zinc's right
10 on that land and -- or -- or for -- I should say, for
11 interest to -- to work on that land, having an access
12 road through the Park.

13 And, as you rightfully point out, Dehcho
14 First Nations was -- was incorporated within the
15 technical committee for that purpose.

16 I -- I don't foresee any -- I think we --
17 like you said, we might need to look into what might be
18 required to make this more formal and official. I
19 believe that's what I heard, and I -- I certainly think
20 that that's something Parks Canada would be interested in
21 doing with all parties that would be interested: Nahanni
22 Butte, Dehcho First Nations, and Canada (sic) Zinc of
23 course being some of those members potentially.

24 MR. DAVE HARPLEY: Dave Harpley. I just
25 want to add a few more comments to be clear on -- on how

1 we actually see this committee.

2 We certainly don't see it as being ex --
3 an -- a mechanism to exclude anybody from participating.
4 We see this as a -- being an entity that would promote
5 interaction and encourage participation.

6 We would expect that Nahanni Butte and
7 Fort Simpson - that is, the bands in those locations -
8 would nominate members to sit on the committee, just so
9 that we could ensure that is at least a representative to
10 report back to the communities.

11 If DCFN wanted to have a seat at the
12 committee as well, that would be quite acceptable, but
13 obviously we would like to retain a core group, and
14 perhaps for two (2) of those three (3) meetings I
15 mentioned, it would -- it would be primarily the core
16 group.

17 But, just to be clear, it would still need
18 to be a public committee, and we would not seek to deter
19 people from attending if they wished to. It would be
20 open to community members, agencies if they felt they
21 needed to attend, and even others in the region,
22 particularly the Dehcho region.

23 MS. KRYSTAL THOMPSON: Hi. Krystal
24 Thompson with INAC. Just from INAC's perspective, at
25 this point, we're interested in participating in the

1 discussions surrounding the development of some type of
2 collaborative body, and, so, yeah, I just wanted to put
3 that on the record.

4 THE FACILITATOR: Thanks very much. Any
5 other parties like to speak to the formation of this
6 committee, formerly known as the technical advisory
7 committee.

8 MS. AMY JENKINS: Hi. This is Amy
9 Jenkins with --

10 MS. ANNE WILSON: Anne Wilson with
11 Environment Canada.

12 I think that some of our wildlife concerns
13 with the monitoring weren't explicitly addressed
14 yesterday and are still outstanding to some degree. So
15 that may be a home for them to have a Canadian Wildlife
16 Service rep. on that committee. We could participate in
17 that respect.

18 We will also continue to participate for
19 air quality and -- and spill contingency and water and
20 other aspects through the regulatory process, and would
21 be happy to provide appropriate people to sit on a
22 committee if those topics were going to be discussed.

23 THE FACILITATOR: Thank you very much.
24 Further comment on the floor?

25 MS. AMY JENKINS: This -- this is Amy

1 Jenkins with ENR.

2 Since GNWT was mentioned, I'm sure that --
3 I know that Gavin, my supervisor, is -- has lots to say
4 about monitoring agencies and monitoring programs. So
5 I'm sure if we were to be involved in the terms of --
6 developing the terms of reference, or helping with that
7 or participating in this community -- or this committee,
8 that that would -- that would be something that we're
9 interested in.

10 THE FACILITATOR: Did I see a hand in the
11 -- no? All right. Sorry. It was a phantom hand.

12 Any further comments on this technical
13 committee form -- Mr. Redvers, please.

14 MR. PETER REDVERS: Peter Redvers, Naha
15 Dehe Dene Band.

16 I guess, for clarification, Canadian Zinc
17 has indicated it would take a first stab at putting
18 something together, a little more flesh or structure into
19 it, that it would be circulated to interested parties.

20 And then I'm wondering if perhaps we can
21 have a -- sort of a multi-party commitment of perhaps
22 sometime in -- over the winter, I would -- I mean,
23 there's lots of -- I'll target that anyway, maybe early
24 winter or mid-winter, having some kind of a get-together
25 initially to sort of look at that and -- and have a head-

1 to-head kind of discussion with interested parties, and
2 might suggest that that be held in Fort Simpson to keep
3 it in the Dehcho.

4 MR. DAVE HARPLEY: Dave Harpley. I'm not
5 sure if we're talking about late fall or early winter,
6 depending on what the weather is, but not too far down
7 the road here. And we will commit to preparing a draft.
8 I'm not sure we will commit to all attending in Fort
9 Simpson, but we could certainly participate in a
10 conference call.

11 THE FACILITATOR: Thank you for that
12 commitment, Canadian Zinc.

13 Further comments on this topic?

14 Well, thank you very all -- all very much.
15 Those are good discussions there. That -- I think that
16 was beneficial and useful for everybody.

17 Now we're at an additional agenda item
18 that I'd mentioned earlier after lunch, and this is --
19 will be a brief closing statement by -- oh, sure, we can
20 have a coffee break first.

21 There's been a request for a coffee break
22 prior to anything else, and we'll take ten (10) minutes
23 for that. See you in ten (10) minutes.

24

25 --- Upon recessing

1 --- Upon resuming

2

3 THE FACILITATOR: ...thanks.

4 MR. PETER REDVERS: Peter Redvers, Naha
5 Dehe Dene Band.

6 Just for clarification that this would be
7 a project-specific advisory committee, and certainly not
8 taking on or assuming any of the roles or functions of
9 the current -- I think the wording is technical committee
10 or consensus group or any of those things.

11 So perhaps when you're drafting, it might
12 be wise to refer to it as the Prairie Creek Mine
13 Technical Advisory Committee, so that's built right into
14 the -- the title, that it is clearly a project-specific
15 group with a mandate to provide some ability to have
16 oversight over the range of monitoring and other
17 activities associated with operations.

18 THE FACILITATOR: Thank you. At this
19 point, I'd like to allow Parks Canada to have a brief
20 closing statement, following which the developer will
21 have the opportunity to respond. Thanks.

22

23 CLOSING STATEMENT BY PARKS CANADA:

24 MR. MIKE SUITOR: Thank you. Mike
25 Suitor, Parks Canada.

1 I'm just going to read a -- just a quick
2 little blurb I've written up here on a summation of -- of
3 what we've seen here, and -- and ways that we see moving
4 forward, some points that need to be brought forward.

5 Parks Canada is glad to see that Canada
6 (sic) Zinc made several commitments during the technical
7 sessions here, and, as I understand, MVEIRB will be
8 providing those commitments to the rest of the group. We
9 -- we look forward to receiving all of the information
10 from the -- the different commitments that were made.

11 One (1) point that I would like to make is
12 in some cases, I believe that we still need a bit of a
13 clarification on dates. So, as we start to pull out
14 those commitments, we might need to firm up dates if they
15 were left a little loose in the air.

16 I'd like to remind both the Board and
17 Canada Zinc that Parks Canada expects that any responses
18 that are made to those commitments are done so in a
19 complete and rigorous manner to ensure that it allows us
20 to fully review all of the information, in combination
21 with existing information, to come up with an assessment,
22 rather than placing the importance only on speed in this
23 process. We need to ensure that we can make the
24 appropriate determinations.

25 We note that there has been an extremely

1 large amount of -- of Information Requests placed on
2 Canada (sic) Zinc during this, and we acknowledge that
3 it's -- it's going to be quite a task for them to be able
4 to provide that information within the one (1) week that
5 we heard mentioned several times in the last couple of
6 days.

7 And we also note again that a lot of this
8 information is required for us, again, to prepare our
9 technical reports.

10 And then also I want to emphasize, again,
11 that we need this in a very clear and robust manner to
12 ensure that we reduce any potential delays that might
13 come down the road due to, again, further inadequacies in
14 the information.

15 And I might add to that that, during this
16 process, I -- I would expect that it wouldn't be
17 unforeseeable if Canada (sic) Zinc required clarification
18 from any of the parties, and I would encourage, if that
19 was the case, that Canada (sic) Zinc directly contact us
20 and we can have those conversations to ensure again that
21 the information we receive is -- is what we're looking
22 for to help expedite this process and to ensure that all
23 parties are satisfied at the end of the day.

24 I'd like to point out that the technical
25 sessions, as a -- as a whole, have been useful, but have

1 also not allowed us to fully address all of the questions
2 and the development in its fullest and, therefore,
3 there's still some holes that we have in terms of
4 potential significant effects for some of our value
5 components. And this is, unfortunately, just the nature
6 of having a lot of information to review in -- in several
7 days.

8 Given -- given the importance of several
9 of the Information Requests committee to by Canada (sic)
10 Zinc, we also think that it's not -- it is likely that
11 additional clarification and/or information might be
12 required to determine the significance on several valued
13 components.

14 I would suggest this information will be
15 incorporated, with many of the components of existing
16 information, for determination for significance.

17 I'd also like to remind the Board that
18 Parks Canada at this time still has an outstanding
19 request with regard to several obligations that are --
20 are a legal requirement of both Parks Canada and the
21 Board, and this -- this issue will need to be resolved at
22 sometime very -- in the very near future. And just to
23 point that out to all the parties. And we will require
24 that information prior to technical submission.

25 Finally, I'd just like to ask Mr. Hubert

1 right now, when you have an idea of when transcripts from
2 this process might be available, and when those
3 commitments might also be available to all parties.

4 THE FACILITATOR: Chuck Hubert with the
5 Review Board. The transcripts, with commitments attached
6 to those transcripts, will be available Wednesday or
7 Thursday of next week. Is that -- does that conclude
8 Parks Canada's remarks?

9 MR. MIKE SUITOR: Yes, thank you.

10 THE FACILITATOR: Thank you.

11 Comments from the developer, please.

12

13 CLOSING COMMENTS BY CANADIAN ZINC:

14 MR. DAVE HARPLEY: Dave Harpley. Given
15 the number and content of the commitments we have made
16 through the course of the previous two (2) days and
17 today, I think it's safe to say that we will not complete
18 them all in one week.

19 Further to that, we've already asked the
20 Review Board for approximately that length of time to
21 consider what we've learned over these three (3) days,
22 and to get back to them in terms of what we think is an
23 appropriate timeframe for a proper response.

24 So, I don't want to go into too much more
25 detail at this point until we've actually thought about

1 it some more, but we're not going to get to all of this
2 in -- in a matter of a week or so. I don't want to come
3 back with a rushed, half-baked reply. It would be a
4 complete, thorough response.

5 In addition to that, I recognize that
6 there are benefits and limitations to this sort of
7 process, and no matter what we achieved in this session,
8 I had already concluded that we would be contacting and
9 meeting with individual groups subsequently, in any
10 event, to -- as a followup to see what issues remained
11 and how they could be addressed. That's probably
12 something that's even more important now, given what's
13 transpired.

14 So I fully expect that to happen, and I
15 don't believe too much time will elapse before that takes
16 place.

17 THE FACILITATOR: Thank you very much.
18 The Board encourages those meetings between the developer
19 and various parties to deal with specific focus topics
20 and present the results of those discussions to the
21 Board, and we'll post those for the benefit of all
22 parties.

23 Any further comments from anybody at this
24 stage?

25 MS. ANNE WILSON: It's Anne Wilson. Were

1 you looking for closing comments, Chuck?

2 THE FACILITATOR: Sure, please. If you
3 have any, please go ahead.

4

5 CLOSING COMMENTS BY ENVIRONMENT CANADA:

6 MS. ANNE WILSON: Yeah. It's Anne
7 Wilson. I just thought it would be helpful to reiterate
8 our expectations for information coming in, the things
9 that we've asked for specifically.

10 These would include a characterization of
11 the sewage effluent for both quality and quantity so that
12 nutrient loading can be assessed better.

13 I understand the company's going to try
14 and do some testing of existing samples for the major
15 ions so that we can get a better sense of the TDS
16 composition potentially for the effluent.

17 Then we'd also ask for estimates of
18 integrated effluent quality, and that would be for all
19 sources combined, that is, the process water, the mine
20 water site runoff and sewage effluent and for a four (4)
21 parameter list, i.e., metals, nutrients and major ions.

22 We support the request that others have
23 made for more comprehensive parameter lists for
24 estimating downstream concentrations, then looking at the
25 silt contingency section. We'll be looking forward to

1 seeing a linear risk assessment, and we were also
2 promised clarification on the acid spill response
3 section.

4 With respect to the AEMP, there's nothing
5 further expected, but clarification was provided that the
6 AEMP is going to be a proactive monitoring program rather
7 than one that's triggered by exceedences in the SNP.

8 We'd be happy to review and discuss any
9 future iterations of the AEMP, and, just to reiterate,
10 we'd also be pleased to participate, as appropriate, on
11 any advisory committee. That's it.

12 THE FACILITATOR: Thanks very much. I'll
13 ask once again if anybody else would like a further
14 statement, either here in the room or on the
15 teleconference. Mr. Redvers, sure.

16

17 CLOSING COMMENTS BY NANA DEHE DENE BAND:

18 MR. PETER REDVERS: Peter Redvers, Naha
19 Dehe Dene Band. Just perhaps to inform all parties that,
20 in terms of the approach that has been taken with respect
21 to this EA, the band has been focussed on two (2) paths:
22 one (1) is the negotiation of an IBA agreement; the other
23 is clarification on how some of its concerns are being
24 addressed in -- through the -- through the EA process.

25 And the primary one, and certainly

1 significant one at this point, is the issue of water
2 quality downstream, the discharge, the whole concept of
3 an approach to discharge, and how that is going to impact
4 on the creek and the water system.

5 The hope is that there can be significant
6 clarity on the water quality issue and the discharge
7 issue in terms of not only description of what's going to
8 be happening, but an assessment of the potential impacts
9 for that prior to the community hearing, so that when we
10 go into the community hearing, the community is aware of
11 any outstanding kind of risks or tradeoffs, I guess, for
12 lack of a better word. We'll use the word "impact."
13 Clarity on understanding of the kind of impacts that
14 would occur from operations, and particularly the
15 methodology that Canadian Zinc is proposing in terms of
16 dealing with water discharge.

17 We're pretty certain the IBA will be
18 addressed at that point, so that's the missing element.
19 So -- so again, all parties, as this moves forward, it is
20 certainly going to be helpful to have very, very clear
21 understanding of potential impacts, significant of
22 impacts, relation to water quality, prior to the
23 community hearing; that would be very, very helpful from
24 a community perspective.

25 THE FACILITATOR: Thanks very much.

1 Anything further from the developer?

2 With that, I'd like to close our technical
3 meeting for the Prairie Creek Mine. I'd like to thank
4 everybody for attending. Your attendance is what made
5 this worthwhile. I very much appreciate the time and
6 effort parties took, and I appreciate the time and effort
7 the developer took to make this a reality and to make
8 this successful.

9 Thanks again for taking part, and hope to
10 see you again sometime. Bye for now.

11

12 --- Upon adjourning

13

14

15

16 Certified Correct,

17

18

19

20 Wendy Warnock, Ms.

21

22

23

24

25